

Ottawa Light Rail Commission

Joseph Marconi
on Tuesday, May 10, 2022



77 King Street West, Suite 2020
Toronto, Ontario M5K 1A1

neesonsreporting.com | 416.413.7755

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OTTAWA LIGHT RAIL COMMISSION
OLRT CONSTRUCTORS - JOSEPH MARCONI
MAY 10, 2022

--- Held via Zoom Videoconferencing, with all
participants attending remotely, on the 10th day
of May, 2022, 9:00 a.m. to 12:10 p.m.

1 COMMISSION COUNSEL:

2 Anthony Imbesi, Litigation Counsel Member

3 Fraser Harland, Litigation Counsel Member

4

5 PARTICIPANTS:

6 Joseph Marconi: OLRT Constructors

7 Mannu Chowdhury: Paliare roland Rosenberg

8 Rothstein LLP

9

10

11 ALSO PRESENT:

12 Helen Martineau, Stenographer/Transcriptionist,

13 Benjamin Bilgen, Virtual Technician

14

15

16

17

18

19

20

21

22

23

24

25

INDEX OF EXHIBITS

1		
2	NO. / DESCRIPTION	PAGE
3	1 Curriculum Vitae of Joseph	11
4	Marconi.	
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 --- Upon commencing at 9:01 a.m.

2 JOSEPH MARCONI: AFFIRMED.

3 ANTHONY IMBESI: Good morning,
4 Mr. Marconi, as you were doing that I heard your
5 voice coming in and out, so if at any point we
6 don't hear you I will ask you to repeat your
7 answer. We'll let you know.

8 JOSEPH MARCONI: Maybe it's the video.

9 ANTHONY IMBESI: The reality of the
10 Zoom hearings. I will read into the record the
11 parameters of today's interview and then we can
12 get started.

13 The purpose of today's interview is to
14 obtain your evidence, under oath or solemn
15 declaration, for use at the Commission's public
16 hearings. This will be a collaborative
17 interview such that my cocounsel, Mr. Harland,
18 may intervene to ask certain questions. If time
19 permits your counsel may also ask follow-up
20 questions at the end of the interview. This
21 interview is being transcribed and the
22 Commission intends to enter this transcript into
23 evidence at the Commission's public hearings,
24 either at the hearings or by way of procedural
25 order before the hearings commence. The

1 transcript will be posted to the Commission's
2 public website, along with any corrections made
3 to it after it is entered into evidence.

4 The transcript, along with any
5 corrections later made to it, will be shared
6 with the Commission's participants and their
7 counsel on a confidential basis before being
8 entered into evidence.

9 You will be given the opportunity to
10 review your transcript and correct any typos or
11 other errors before the transcript is shared
12 with the participants or entered into evidence.
13 Any nontypographical corrections made be will be
14 appended to the transcript.

15 Pursuant to section 33(6) of the
16 Public Inquiries Act, a witness at an inquiry
17 shall be deemed to have objected to answer any
18 question asked him or her upon the ground that
19 his or her answer may tend to incriminate the
20 witness, or may tend to establish his or her
21 liability in civil proceedings at the instance
22 of the Crown, or of any person. And no answer
23 given by a witness at an inquiry shall be used
24 or be receivable in evidence against him or her
25 in any trial or other proceedings against him or

1 her thereafter taking place, other than a
2 prosecution for perjury in giving such evidence.
3 As required by section 33(7) of that Act you are
4 hereby advised that you have the right to object
5 to answer any question under section 5 of the
6 Canada Evidence Act.

7 So with that we will get started.
8 Actually, if you could start by explaining for
9 us your role in Stage 1 of Ottawa's LRT?

10 JOSEPH MARCONI: Sure. In around
11 August of 2018 I was hired by OLRTC. I was
12 actually hired by SNC Lavalin, seconded to the
13 OLRTC Ottawa project, I took over for Jacques
14 Bergeron, who was going to retire at that time.
15 And basically my main tasks were to complete the
16 Stage 1 vehicle provisional acceptance process,
17 complete any vehicle testing and commissioning
18 that needed to be done, to conduct vehicle final
19 acceptance in preparation for substantial
20 completion, trial running, revenue service
21 availability. And then once that was done I
22 would move on to the Stage 2 project -- Stage 2
23 part of the project and basically repeat the
24 same thing, vehicle provisional acceptance,
25 vehicle commissioning, and final acceptance bill

1 of sale and revenue service entry.

2 ANTHONY IMBESI: And you have shared
3 with us, with the Commission, your -- a copy of
4 your CV. I'll pull that up on the screen. Can
5 you see what's on my screen?

6 JOSEPH MARCONI: Yes.

7 ANTHONY IMBESI: And do you recognize
8 this as a copy of your CV?

9 JOSEPH MARCONI: Yes, I do.

10 ANTHONY IMBESI: And I see that you're
11 a mechanical engineer?

12 JOSEPH MARCONI: Correct.

13 ANTHONY IMBESI: And can you just give
14 us, at a high level, a summary of your
15 background prior to being involved with SNC
16 Lavalin and OLRTC, and in particular your
17 experience in rolling stock passenger rail
18 experience?

19 JOSEPH MARCONI: Well, I've been
20 thirty-six years in the business, twenty-five
21 years with Bombardier, six years with other
22 companies like UTDC, which are now defunct.
23 Even Lavalin, at one time -- I was with Lavalin
24 for two years. And then my last four years of
25 my career I've been with SNC Lavalin.

1 All those years I've been involved
2 with railcar projects, passenger railcar
3 projects. I've had various responsibilities. I
4 started off as a designer. I worked my way
5 into -- as a test engineer. I became a
6 production supervisor. I became a methods
7 manager and engineering manager, system
8 engineering manager, vehicle integrator. I was
9 also involved in customer service on the New
10 York Subway contract. I was a quality assurance
11 manager. I was also involved in change
12 management. And basically those are all the
13 functions that I held through my first 32 years
14 of my career.

15 And the last four years of my career
16 I've been with Lavalin as System Integration
17 Director.

18 ANTHONY IMBESI: And prior to this
19 project have you been involved in any projects
20 that were P3 projects?

21 JOSEPH MARCONI: Per se, not really.
22 I mean, I believe a monorail project that we had
23 in Las Vegas was a P3 type project, but I was so
24 far down the level there that I didn't have
25 relations with, say, the end customer, other

1 than with the vehicle design, or with the
2 infrastructure, construction stations, track
3 work, things like that; it was strictly at the
4 vehicle level.

5 So I believe I've been involved in a
6 P3 before, I believe the Las Vegas project was a
7 P3, but I'm not 100 percent sure about that.

8 ANTHONY IMBESI: And you had touched
9 on your role as their director of systems and
10 integration, but can you give us a bit of an
11 understanding as to what that role is comprised
12 of? What are the responsibilities of that role?

13 JOSEPH MARCONI: Well, when I came on
14 board it was mainly the system integration with
15 the vehicle, not necessarily any system
16 integration with civil infrastructure or OCS or
17 tracks, nothing like that. It was mostly
18 integration work that needed to be done between
19 Alstom and Thales, any interfaces there that
20 need to be resolved, and integrating those
21 systems from a vehicle perspective so that that
22 vehicle would be safe to operate and reliable on
23 the main line.

24 ANTHONY IMBESI: And obviously this
25 project achieved revenue service availability in

1 August of 2019, and you touched on this, but did
2 your role change at all following revenue
3 service or did you simply transition to
4 performing the same functions in respect of the
5 Stage 2 production and assembly?

6 JOSEPH MARCONI: Well, I still
7 maintain a bit of role on Stage 1 because of --
8 there are still minor deficiencies that Alstom
9 needs to correct, so I need to follow-up and
10 make sure that those items are actioned upon.
11 So from a Stage 1 perspective I'm still involved
12 in that area of it.

13 I'm still also involved in the Change
14 Control Board, which is headed by RTM,
15 supporting and acting as a sounding board with
16 Alstom, or Thales may come along with proposed
17 changes to the vehicle. But, yes, those are
18 probably two areas that I'm still involved in on
19 Stage 1.

20 And on Stage 2, basically starting
21 fresh, delivering those vehicles in terms of
22 inspections, validating the commissioning of
23 those vehicles and final acceptance, and right
24 through to the bill of sale.

25 ANTHONY IMBESI: Again, I'll stop

1 sharing your CV here on the screen. If we could
2 mark that as Exhibit 1.

3 EXHIBIT NO. 1: Curriculum Vitae of
4 Joseph Marconi.

5 ANTHONY IMBESI: You had just
6 mentioned the Change Control Board, can you give
7 us an explanation as to what that is and how it
8 functions, particularly now in respect of the
9 Stage 1 vehicles?

10 JOSEPH MARCONI: Okay. So the purpose
11 of the Change Control Board is to -- obviously
12 to maintain configuration of the infrastructure,
13 even the vehicles, anything to do with change.
14 So if a subcontractor or a supplier wants to
15 make a change then they have to submit a CR
16 request, a change request to the Change Control
17 Board. And this change request includes, you
18 know, the reasons for the change, how the change
19 is going to be tested, how the change is going
20 to improve something or change something. And
21 then this is vetted by the Change Control Board,
22 by the CCB, Change Control Board. Once it's
23 vetted by them then we pass that information
24 along to the City and then they also vet the
25 change; and they are part of the board as well.

1 And if everything meets everybody's
2 requirements then the change is approved and the
3 method of implementation is determined, whether
4 it needs to be tested or whether it doesn't need
5 to be tested. And a schedule may be drawn up as
6 to which vehicles will receive the changes
7 first. And then the subcontractor is then
8 allowed to make those changes and everybody is
9 aware of what's going on.

10 ANTHONY IMBESI: Is that separate and
11 apart from -- if retrofits are being done or if
12 minor deficiencies are being corrected, that
13 kind of thing, does that flow through that
14 process or is this separate? Is this where
15 there is a more major change to the vehicle
16 itself?

17 JOSEPH MARCONI: Yeah, those are
18 separate, more major ones. But there are
19 probably other changes, some historical or
20 background changes that Alstom may be doing that
21 may not go through the Change Control Board,
22 that have little impact in terms of safety or
23 reliability of the vehicle. So these are
24 generally changes that could affect the safety
25 or reliability of the vehicle that go through

1 the Change Control Board.

2 ANTHONY IMBESI: And who sits on that
3 board?

4 JOSEPH MARCONI: Steve Nadon sits on
5 that board, James Robilard sits on that board,
6 Tammy Levesque I believe sits on that board. I
7 sit on the Board as an OLRTC representative. I
8 believe Matt Peters sits on that board from OC
9 Transpo's perspective.

10 ANTHONY IMBESI: So just so I
11 understand the entities, so you have OLRTC, OC
12 Transpo, is there somebody from RTG on the
13 Board?

14 JOSEPH MARCONI: I don't believe there
15 is.

16 ANTHONY IMBESI: So would it just be
17 OLRTC and OC Transpo, to your knowledge?

18 JOSEPH MARCONI: RTM sits on the
19 Board.

20 ANTHONY IMBESI: RTM?

21 JOSEPH MARCONI: RTM, yeah. OLRTC,
22 RTM, the City, basically those three entities.
23 And then obviously, you know, the people that
24 are submitting the change request are the
25 initiators, right?

1 FRASER HARLAND: Can you give us some
2 examples of changes that would come through the
3 Change Control Board?

4 JOSEPH MARCONI: For example, a change
5 to a ceiling panel. Alstom has proposed that
6 they've got a new supplier for their ceiling
7 panels, for example.

8 And so what we do, first, before it
9 goes to the Change Control Board, is that
10 ceiling panel design gets presented to the City,
11 between OLRTC and Alstom and the City. Then
12 from a design perspective that -- that design is
13 approved through that channel, through letters
14 and correspondence and meetings that we have.
15 Once that is approved it goes through the Change
16 Control Board to get approval for implementation
17 on the rest of the fleet. So there's one
18 example.

19 Software changes from Thales, for
20 example, where they have to initiate a complete
21 software architecture change. Well, Thales will
22 submit a change request for build 8 or build 9
23 of their software, and it will entail all the
24 changes that are within that change because
25 there are probably multiple corrections of

1 software there that they're going through.

2 They will explain what testing needs
3 to be done, what testing has been done, whether
4 those tests have shown promising results. And
5 then there will be an implementation phase where
6 maybe they will install the software for a
7 certain period of time. They will test it and
8 validate that it's working within one or two
9 weeks and then report back on that.

10 And then the next step would be a
11 full, system-wide implementation. So it could
12 be software, hardware, electrical, mechanical,
13 all sorts of different changes can go through
14 this Change Control Board.

15 ANTHONY IMBESI: And just before we
16 move on from the Change Control Board, and we'll
17 discuss this in a bit more detail later this
18 morning, but in terms of the breakdowns and
19 derailments the system experienced in 2021 and
20 some of the other issues, has anything from
21 those breakdowns and derailments flowed through
22 the Change Control Board in terms of anything
23 that's implemented to address any issues that
24 were uncovered?

25 JOSEPH MARCONI: No. Nothing after

1 the derailment.

2 ANTHONY IMBESI: Okay. And you've
3 spoken about the responsibilities generally of
4 the Director of Systems and Integration, the
5 role that you fulfill. But from a practical
6 level, can you just give us some insight as to
7 what the management of the vehicle integration
8 testing and commissioning activities is
9 comprised of, what that entails and how it's
10 undertaken on a project like this?

11 JOSEPH MARCONI: From a testing and
12 commissioning perspective, I would like to break
13 it down to probably before we went into revenue
14 service, or RSA. Because certain tests had to
15 be done in order to qualify the vehicle, you
16 know, type testing and series testing needed to
17 be done and reports submitted. Those would be
18 like one-off type tests that needed to be
19 completed and submitted and passed and approved
20 by the City.

21 But as we move on, like for Stage 2,
22 for example, the testing side of it is generally
23 series testing, like each vehicle gets series
24 testing. There is very few or no type testing
25 conducted any more. These are all series

1 testing, which means that each vehicle sees a
2 certain number of tests, whether that's static
3 verification tests, dynamic and propulsion and
4 braking tests that are also witnessed by OLRTC
5 and the customer.

6 And then we go through like a burn-in,
7 a test of a thousand kilometres, which is
8 dynamic, on the main line. So those are the
9 type of commissioning tests that we do before
10 the vehicle is allowed to be sold.

11 ANTHONY IMBESI: And you -- I mean, I
12 know you've mentioned some of the tests that
13 were -- that are done or are going to be done on
14 the Stage 2 vehicles. Is it fair for me to
15 assume then that those same tests would have
16 been performed in respect of the Stage 1
17 vehicles as well?

18 JOSEPH MARCONI: Other than the
19 burn-in test -- the reason that there is a
20 difference there is because as the vehicles --
21 as the Stage 1 vehicles are being prepared and
22 provisionally accepted, those vehicles are also
23 being used by OC Transpo for driver training.
24 They are being used for Alstom testing, Thales
25 testing, OLRTC integration testing with the

1 infrastructure.

2 So those vehicles, you know, they went
3 through -- I think by the time that RSA took
4 place, back in August of 2019, some of those
5 vehicles had already seen well over 30,000
6 kilometres. And so -- and I think the lowest
7 vehicle at that time, the lowest mileage on the
8 most newest vehicle entered onto the main line
9 was in around you know, 1500 to even 2,000
10 kilometres at that time.

11 So when we developed -- when I
12 developed the testing and commissioning
13 procedure for Stage 2, we decided that it would
14 be advantageous that each vehicle also go
15 through a 1,000 kilometre burn-in exercise so
16 that it could reflect at least the minimum
17 amount of mileage that one of the vehicles saw
18 on the Stage 1 project, if you follow my thought
19 there.

20 ANTHONY IMBESI: I do. So you -- in
21 preparing the plans for testing and
22 commissioning for the Stage 2 vehicles you have
23 designed this burn-in test. So is it your
24 evidence then that you feel the same outcome was
25 achieved on Stage 1, just given the fact that

1 the vehicles had run for a significant period of
2 time in performing other integration test
3 training, whatever it might be?

4 JOSEPH MARCONI: Correct. And
5 obviously the maturity. Since Stage 2 started
6 there's been a number of modifications and
7 changes and improvements and software upgrades.
8 So as the product matures it's getting better
9 and better and better.

10 So, even though we are doing the
11 thousand kilometre burn-in, we have had
12 instances where the vehicle has not passed the
13 test. And the criteria for passing the thousand
14 kilometre burn-in is that you can't have a
15 service affecting failure that lasts more than
16 five minutes, which is what a train in normal
17 revenue service, if that were to happen, would
18 be pulled out of services and replaced by
19 another one.

20 So we apply that same pass/fail
21 criteria as any normal running revenue service
22 train would apply. And we've had some cases
23 where failures have caused a five-minute delay,
24 and if that were to occur then the burn-in
25 starts over again. So you could have 6, 700

1 kilometres, have a failure that last more than
2 five minutes and you'd have to pull that --
3 you'd have to restart -- fix the problem and
4 then start over again.

5 ANTHONY IMBESI: So turning our focus
6 strictly to Stage 1 for now, OLRTC has the
7 ultimate responsibility for systems integration,
8 correct?

9 JOSEPH MARCONI: Yes.

10 ANTHONY IMBESI: And in terms of
11 systems integration, your focus was primarily
12 with respect to Alstom, and, I guess, to a
13 certain extent integrating that with the Thales'
14 signaling system?

15 JOSEPH MARCONI: Correct. I mean,
16 when I got on board in 2018, August of 2018,
17 most of the integration -- design integration
18 work was already completed. There was only a
19 handful of items that were still not working
20 properly or not clear. Like maybe five or six
21 items that still needed some -- they still
22 needed some attention between Alstom and Thales.
23 But all the rest of it was basically done. All
24 the design effort, all of the integration in
25 terms of design effort was already done when I

1 started the project in August.

2 ANTHONY IMBESI: So perhaps then, can
3 you explain for us -- so as I understand it, the
4 May 2018 RSA date was missed by OLRTC and RTG.
5 And you came on board in August of 2018. You
6 mentioned that most of the design integration
7 work was completed. Can you give us some
8 examples then of what the status was when you
9 arrived? What was outstanding? What still
10 needed to be done to get the vehicles to a point
11 where RSA was ultimately achieved the following
12 August?

13 JOSEPH MARCONI: Now you're really
14 testing my memory. When I first came on board
15 there were a few integration issues, like I
16 mentioned, between Thales and Alstom that still
17 needed to be sorted out. Not all the vehicles
18 had been provisionally accepted yet at that
19 time. Jacques, my predecessor had accepted 28
20 of the 34 vehicles.

21 And what I mean by "provisional
22 acceptance" is that we did a safety certificate
23 from Alstom that the vehicle is considered safe
24 to operate, at least in manual mode operation on
25 the main line. That way the vehicle can be

1 driven by OC Transpo in manual mode, it can be
2 driven by ORTC for integration testing, or we
3 can have the drivers drive the trains for Thales
4 testing. So there was 28 vehicles that have
5 already been provisionally accepted at that
6 time.

7 The rest of the vehicles, I believe,
8 were -- obviously in production still with
9 Alstom. And I had to -- I had to follow those
10 ones straight to provisional -- completion of
11 provisional acceptance. After provisional
12 acceptance is done then those trains go over to
13 Thales for them to do their integration testing,
14 their validation of their equipment. They
15 perform their static and dynamic testing for the
16 automatic train control, CBTC systems
17 operations.

18 And once that was complete we would
19 get a notification that that train was okay to
20 operate in automatic mode. And then additional
21 testing was done, integration was done at that
22 stage once the vehicles are ready automatic
23 train operation.

24 Once that was done I also the
25 developed a final inspection on procedure. At

1 that time, in order to get to substantial
2 completion, in order to get to trial running we
3 had to have the vehicles at least finally
4 accepted by the City. So I developed a process
5 for which that could be obtained, and a
6 schedule.

7 And I believe between January and
8 March of 2019 every vehicle was inspected, both
9 by OLRTC and the City; Alstom was there as well.

10 And we went through and created what
11 we call the "OLRTC punch list", and this punch
12 list became part of the car history book. And
13 on average we would get about a hundred open
14 items per vehicle. So at the end of March we
15 had about 3200 items that needed to be corrected
16 on those vehicles. Some prior to revenue
17 service and some were okay to be left open for
18 Alstom to correct during the warranty period.

19 ANTHONY IMBESI: Can you just explain
20 for us a little bit more about this punch list?
21 What would find its way on the punch list? You
22 mentioned there were about a hundred open items
23 per vehicle, is that typical or is that
24 excessive? Is that below average?

25 JOSEPH MARCONI: I would say I think

1 it's a bit above average. And the reason I
2 would say that is I've been involved in quality
3 assurance before with Bombardier. But the Stage
4 1 vehicles were kind of like a different concept
5 for me because I was normally involved where you
6 would do one vehicle at a time. You would
7 inspect one vehicle at a time and the customer
8 would inspect that with you.

9 And then obviously through all those
10 inspections you would go to the case where the
11 vehicle was finally accepted and then delivered
12 and sold and commissioned on site and then put
13 into revenue service.

14 On the Stage 1 project we had 34
15 vehicles to go through all basically in one
16 shot. And I've never done that before, having
17 to inspect 34 vehicles basically consecutively
18 like this. In addition, those vehicles were no
19 longer brand new, they were used. They were
20 used for testing, all sorts of -- OC Transpo was
21 driving them. We were testing them for Thales
22 integration testing, Alstom integration testing.

23 So when you went on to a vehicle it
24 didn't give you the sense that the vehicle was
25 clean and pristine and like a brand new vehicle

1 that you would see at a car showroom, like
2 you're going to buy a brand new automobile.
3 They had a little bit of wear and tear on them.

4 Some of the open punch list items had
5 to address the cleanliness and the clean-up and
6 the scratches and the dings and the dents that
7 you would not normally expect from a brand new
8 vehicle, but it just wasn't there because these
9 vehicles were previously used.

10 ANTHONY IMBESI: Right. And so could
11 you explain for us then -- so what items that
12 found -- that would find their way on to the
13 punch list would need to be rectified before
14 revenue service versus those that you said were
15 approved or okay to be deferred to post revenue
16 service?

17 JOSEPH MARCONI: Okay. For one
18 example, we had issues with the cab doors, the
19 glass cab doors, they would crack and break and
20 shatter. So that was definitely a safety issue
21 and also a security issue for the drivers. So
22 that was on the punch list.

23 And in order for the trains to go into
24 revenue service Alstom had to temporarily
25 install plexiglass or Lexan plastic doors. They

1 were nonconforming at the time. The City was
2 aware of that; we were aware of that. We were
3 okay with it but we knew that the doors would
4 not stay there permanently in the Lexan plastic
5 format. And Alstom would later go back onto the
6 vehicles, after they entered revenue service as
7 they secured a new supply of materials, new
8 glass, new door frames, new materials that were
9 stronger and more sturdier, and began replacing
10 them. So now all Stage 1 vehicles have new cab
11 doors, that would be a good example.

12 ANTHONY IMBESI: So is it more so
13 safety and security issues, those would need to
14 be dealt with up front, most other things
15 there's a possibility that they could be
16 deferred?

17 JOSEPH MARCONI: Correct. Where there
18 was a long lead time for parts and things like
19 that that -- unless there was a work-around
20 plan, if there was a -- like the one example I
21 just gave was mostly a safety and security
22 thing. So we had to do something. We had to do
23 a mitigation plan for that one because obviously
24 the trains couldn't go into service with the
25 doors that they had. But for other items that

1 didn't present themselves as a safety and
2 security item then we could transfer over to the
3 warranty phase.

4 But some of the esthetic items were
5 also cleaned up. I believe by the time June
6 rolled around I think out of those 3200 items I
7 think Alstom had corrected well over 2700 of
8 them. And there was like another 6 or 700 of
9 them that needed to be transferred over to the
10 warranty side of things.

11 ANTHONY IMBESI: In your experience
12 the transfer of 6 to 700 items to the warranty
13 period, is that something that's typical? Is it
14 manageable? Did you feel it was manageable on
15 this project in particular?

16 JOSEPH MARCONI: At the time I felt it
17 was manageable. Because what happened at that
18 time was we kind of got -- the warranty period
19 is two years. So what happened was that when we
20 went through substantial completion and we
21 submitted -- the MDL list was generated and
22 created. What was asked of us was to take all
23 those punch list items that remained during the
24 warranty period and put them on to the MDL list.

25 Say, for example, out of those 700

1 items each vehicle had the same item, the same
2 problem, so that was 34 items. It was really
3 only one problem but 34 times because there's 34
4 vehicles that had the same issue. So when we
5 flipped those over to the MDL, the MDL list grew
6 to about 302 items we had to correct within a
7 six-month time period. So to me that was kind
8 of aggressive.

9 And to this day, like I said earlier
10 on in my interview here, in my discussions, we
11 still have MDL items that we're still following
12 to this day, and this is two and a half years,
13 three years since revenue service started.

14 ANTHONY IMBESI: And when you say
15 "MDL" is that referring to the minor deficiency
16 list?

17 JOSEPH MARCONI: That's correct, the
18 minor deficiency list. With Alstom we're
19 sitting around 65, 66 items that are still being
20 tracked and followed.

21 ANTHONY IMBESI: And so in terms of
22 the minor deficiency list, those items related
23 to the LRVs, those would be populated into the
24 MDL from the punch list, as you described?

25 JOSEPH MARCONI: Correct. They were

1 populated that way.

2 There was other items, some major
3 items, that were on the MDL list. They're major
4 but they're more significant than some of the
5 other minor items that we found during our
6 inspections.

7 Like, for example, the auxiliary power
8 supply. Alstom had some issues with their
9 auxiliary power supply vendor, they were blowing
10 up on us and Alstom were repairing them and
11 trying to keep the trains running. To this day
12 I think they have tried to secure a second
13 source because I guess their relationship with
14 their primary supplier has deteriorated. So now
15 they've secured a second source of auxiliary
16 power units for Stage 2 vehicles because they
17 can no longer get the same source as they
18 supplied for the Stage 1 vehicles.

19 So that was an item on the MDL, for
20 example.

21 ANTHONY IMBESI: What is the auxiliary
22 power?

23 JOSEPH MARCONI: The auxiliary power
24 unit is a device that is mounted on the roof
25 that -- it takes the high voltage power from the

1 OCS and it converts it to three Phase 480 volt
2 AC. It converts it to 120 volt AC and converts
3 it to 26 volts DC to run other subsystems on the
4 vehicle.

5 So basically it's just a huge power
6 converter. It takes power from one source and
7 converts it to power sources to operate and run
8 other pieces of equipment on the train.

9 ANTHONY IMBESI: And is that component
10 related in any way to some of the flash arcing
11 that was experienced with the OCS during
12 operations?

13 JOSEPH MARCONI: No. The flash arcing
14 was on the traction equipment, I believe those
15 were the line inductors from the traction
16 supply.

17 ANTHONY IMBESI: So these items from
18 the punch list through the MDL, the minor
19 deficiently list, that work is being done by
20 whom? Is that OLRTC that's performing the work
21 to correct those?

22 JOSEPH MARCONI: No. Those are Alstom
23 MDL items, so their production team works on
24 those to get the vehicles in. Obviously the
25 trains are running in service so they have to

1 find windows when the trains come in for, say,
2 maintenance work and they can jump on board to
3 correct those minor deficiencies.

4 ANTHONY IMBESI: Do you have an
5 understanding then as to the contractual
6 structure here? So obviously you have OLRTC and
7 Alstom was a subcontractor to OLRTC, correct?

8 JOSEPH MARCONI: Correct.

9 ANTHONY IMBESI: And then there's
10 Rideau Transit Maintenance, RTM, and Alstom is a
11 maintenance subcontractor to RTM, correct?

12 JOSEPH MARCONI: Correct.

13 ANTHONY IMBESI: So in what capacity
14 is Alstom performing these -- I mean, I'll call
15 it "retrofits" but really I suppose it's just
16 correcting the minor deficiencies. Is that work
17 being done notionally through RTM or through
18 OLRTC as warranty work?

19 JOSEPH MARCONI: It's not necessarily
20 warranty work. If we're talking about MDLs it's
21 the close of the MDLs, but in the warranty
22 period. Technically the work is being done by
23 Alstom Production. What I don't know, because
24 I'm not on the ground to physically watch them
25 do the work -- but I don't know if they -- if

1 they're using Alstom maintenance people, Alstom
2 maintenance techs or workers to correct those
3 deficiencies, those minor deficiencies. I don't
4 know if they have their own team to do that or
5 whether they're using the Alstom maintenance
6 workers to do that work. That I don't know. As
7 long as the work gets done, I guess, from my
8 perspective that's what's important.

9 ANTHONY IMBESI: So you mentioned some
10 challenges, if I can frame it that way, in terms
11 of this work getting completed during operations
12 because of train availability. Can you speak to
13 that a little bit?

14 JOSEPH MARCONI: Sure. I mean, like
15 anything, when a vehicle comes in for
16 maintenance work or for some other issue, you
17 know, you have to be sitting there ready with
18 your resources and your parts and your work
19 instructions to get out there in order to do the
20 work. So I can see that being challenging on
21 Alstom's part in order to get this done. And
22 that's the only way I can see why it's taking
23 them so long to get these MDLs corrected, is
24 because they're finding it challenging to get
25 access to these vehicles.

1 ANTHONY IMBESI: And I appreciate you
2 said that you're not on the ground there, but
3 have you observed any concerns with respect to
4 the level of manpower that's being supplied to
5 deal with these issues, both the maintenance and
6 in terms of dealing with the minor deficiencies
7 on Alstom's part?

8 JOSEPH MARCONI: It's hard for me to
9 comment on something like that because without
10 being on the ground, like I said, I don't know
11 whether they got ten people doing the job or
12 five or a hundred. So it could be a resource
13 issue. I just couldn't tell you.

14 ANTHONY IMBESI: And when some of
15 these items were passed from the punch list to
16 the MDL following revenue service, was there
17 anything on the list that was of concern to you
18 in respect of reliability of the system, or
19 potentially impacting on the reliability of the
20 system?

21 JOSEPH MARCONI: Not necessarily.
22 Like I said earlier, some of these vehicles had
23 more than 30,000 kilometres on them by the time
24 that -- by the time that substantial completion,
25 trial running and RSA were being established.

1 So, you know, hindsight is 2020, I
2 wish I knew today what I know from yesterday. I
3 felt that the vehicles were in fairly good
4 shape. We inspected all of them. Alstom had
5 made all of those corrections. We went back and
6 looked at the trains, they were in much better
7 shape by the time RSA came around and I was
8 confident that we were in good shape to go.

9 ANTHONY IMBESI: So just turning to
10 the systems themselves then, is there anything
11 unique about the Thales signaling system on this
12 project?

13 JOSEPH MARCONI: I don't believe there
14 is. I mean, Thales has worked with many railcar
15 manufacturers, Bombardier, Siemens. They worked
16 with other railcar manufacturers integrating
17 their trade control system, I think even Rotem
18 from Korea, they have worked with them as well.

19 So what is unique though is each
20 vehicle has its own characteristics in terms of
21 weight, aerodynamics, method of train control,
22 manual train control.

23 So the real challenge is from a design
24 perspective. I know I wasn't involved in that
25 phase, but speaking from experience is -- how to

1 do proper integration and making sure that the
2 architecture of one system can be melted in or
3 combined with the architecture of another
4 system.

5 And I have read, and I have copies of
6 the interface control documents that were
7 generated at that time between Alstom and
8 Thales. And these interface control documents,
9 they're fairly well prepared. So I think they
10 got it down pretty good between both companies.
11 But like anything, you know, certain things pop
12 up, certain anomalies pop up, something that
13 wasn't planned for or designed for. And you
14 only learn that through static and dynamic
15 testing, once you're trying to validate the
16 performance of your systems and how they're
17 working together.

18 And then it's a matter of refining and
19 fine tuning and resetting certain time limits,
20 and things like that. It's just massaging the
21 software generally and, on occasion, sometimes
22 the firmware and the hardware, but generally
23 it's mostly software fine tuning to get them to
24 work even better.

25 ANTHONY IMBESI: And I appreciate you

1 came into this project in 2018 so you weren't
2 there from the outset. But having received the
3 ICDs, and whatever other records that you
4 received when you started your role, what was
5 your sense in terms of how the systems
6 integration had progressed to your arrival on
7 the project?

8 JOSEPH MARCONI: Well, I think it
9 progressed pretty good. There was, when I
10 arrived in 2018, Thales had 10 or 11 vehicles
11 that they -- already had their ATO system up and
12 running, they had them D PICO and running. So
13 10 out of the 34 vehicles, they had one third of
14 the fleet already under ATC control at that
15 time.

16 So I thought it was -- it wasn't until
17 I got onto the project and realized that it was
18 a little -- it was late, according to the
19 original schedules and timeframes. But to have
20 one third of the fleet up and running and
21 automatic train control already, I was quite
22 impressed actually.

23 ANTHONY IMBESI: You thought it had
24 progressed fairly significantly to that point,
25 leaving aside the fact that when compared to the

1 original schedule it was delayed?

2 JOSEPH MARCONI: Yes.

3 ANTHONY IMBESI: Were you able to get
4 a sense, from your review of any of this
5 information, as to whether the system's
6 integration was sufficiently planned for on this
7 project?

8 JOSEPH MARCONI: I can only go by what
9 documents I received. So, I mean, I looked at
10 the interface control documents, like I said
11 earlier, and I think they were fairly well
12 prepared. And you could see that they had gone
13 through some revisions so obviously there was
14 discussions and meetings held before my time to
15 reflect changes within the documentations.

16 I'm sure that Jacques would have held
17 interface meetings between Alstom and Thales up
18 to that point.

19 I also had to do one or two meetings
20 after I got there with -- between Alstom and
21 Thales. I think we met in Toronto at one time
22 for a few days and those were just for the
23 remaining items that needed fine tuning when I
24 got on board.

25 So at that stage everything was going

1 as good as can be expected from a fresh guy
2 coming in and trying to pick up the -- trying to
3 pick up the pieces where everything was
4 situated.

5 ANTHONY IMBESI: And so you mentioned
6 that you participated in one or two meetings.
7 Would you characterize those as interface
8 meetings?

9 JOSEPH MARCONI: Yes. They were
10 interface meetings in the sense that there was
11 some interfaces that weren't giving the right
12 characteristics or the right outputs for, say,
13 Thales for example. So Thales was trying to get
14 more insight on how the vehicle reacted and
15 performed in terms of, say, transitioning from
16 braking to propulsion, or vice versa. So this
17 all had to do with timing issues.

18 And the relationship between Thales
19 and Alstom, it wasn't easy from -- I could sense
20 that it wasn't easy. They tried to remain
21 co-operative but you have to remember that these
22 are two companies that are competitors as well.

23 They both design and supply automatic
24 train control, CBTC equipment. I'm sure that
25 they're also trying to protect themselves and

1 not trying to divulge too much information, just
2 enough to get the vehicle running and performing
3 properly but not so much so that they would lose
4 some of their technology, either verbally or
5 even in writing.

6 So they were definitely careful with
7 one another when trying to describe how their
8 systems operated.

9 ANTHONY IMBESI: And I appreciate you
10 would have observed that in a more limited way
11 than, for example, Mr. Bergeron. But did you
12 get the sense that there was any information
13 that wasn't shared as between Thales and Alstom
14 that should have been? Or were there any issues
15 that manifested from this difficulty that they
16 had dealing with each other, to a certain
17 extent?

18 JOSEPH MARCONI: It's funny you say
19 that because I did get a sense that sometimes
20 they didn't want to share certain information,
21 or the information they did share was just not
22 sufficient for the other party.

23 But, you know, it's hard to say
24 because you look at the train right now and it's
25 working. I mean, it's -- it's not that far off.

1 And so was it an attempt to get more information
2 than they really needed? That's hard for me to
3 say because there are obviously some things deep
4 down in each of the systems that I'm not
5 cognizant of or an expert in. So to say whether
6 enough is enough is sometimes very difficult to
7 do in meetings like that.

8 ANTHONY IMBESI: And was there
9 anything that sort of raised your suspicion that
10 something that was requested might be a fishing
11 expedition, or are you just indicating that just
12 to explain that it's hard for you to really
13 assess the level of information that's requested
14 and required?

15 JOSEPH MARCONI: Well, I think there's
16 one example, it's a simple example. There
17 was -- in the Project Agreement there's a
18 requirement that the event recorder, which is
19 under Alstom's scope of supply, needs to record
20 maximum speed.

21 So when I got on board Alstom made the
22 request, through OLRTC, for Thales to provide
23 this maximum speed variable, because the maximum
24 speed is generated through the Thales system.

25 But what I learned was that that speed

1 is also recorded by Thales' automatic train
2 control system, they call it "ATS", so the
3 information is there. The City is aware of that
4 information, they get that information. So
5 there's no need for it to be recorded on
6 Alstom's event recorder or EVR.

7 So we had a requirement that wasn't
8 really needed to be met by Alstom. And I
9 struggled a little bit to convince Alstom, you
10 don't need that information on the EVR because
11 now it's being recorded in two places. And
12 since Thales is the master controller of that
13 information it should only come from that source
14 rather than being manipulated and changed and
15 recorded as part of your EVR.

16 So there was -- and so to me there was
17 a little bit of a -- I know it was a contract
18 requirement for Alstom to have that information,
19 but we told them that the City was okay with it
20 and they would issue a change request not to
21 have that on the EVR, which they did. But
22 Alstom still tried to push the need to have that
23 information. So I don't know if there was an
24 ulterior motive to get that information, but
25 eventually they came around and they stopped

1 making the request.

2 ANTHONY IMBESI: And just to tie off
3 that line of questioning then, so out of any of
4 the items that were deferred or remain
5 outstanding to this day, do any of those relate
6 in any way to any level of information sharing
7 between those two parties?

8 JOSEPH MARCONI: Can you say that
9 again please?

10 ANTHONY IMBESI: Of any of the issues
11 outstanding, do they remain outstanding because
12 of an inability to provide certain information
13 as between those parties?

14 JOSEPH MARCONI: No. Because I think
15 most of the issues have been resolved now. When
16 I came on board, like I said, I think there were
17 six or seven items that needed to be resolved
18 and they have basically all been resolved as of
19 today.

20 You know, I haven't got any recent
21 requests from Thales for any additional
22 information, nor have I gotten any recent
23 requests from Alstom to get any additional
24 information from Thales. So I believe all those
25 interfaces are now behind us.

1 ANTHONY IMBESI: And turning now to
2 the vehicle itself, that's the Citadis Spirit by
3 Alstom, correct?

4 JOSEPH MARCONI: Correct.

5 ANTHONY IMBESI: And do you have a
6 view, given your past rail experience, whether
7 this was a proven vehicle? Would you consider
8 this is a service proven vehicle?

9 JOSEPH MARCONI: I did a bit of
10 research. I don't know if you call Wikipedia
11 research because -- I've gone back and I don't
12 see too many Spirit platforms out there. The
13 Citadis name is out there on various other
14 projects, but as far as the "Spirit" is
15 concerned I don't see too many of those out
16 there, other than Ottawa and maybe the Finch
17 project now.

18 So I don't really have an appreciation
19 for the -- what I would call the "percent reuse
20 factor", like how much of the previous Citadis
21 designs has Alstom taken from other service
22 proven vehicles and incorporated them into the
23 Spirit design?

24 To me -- like APU, for example, I
25 don't think you will find any other Citadis

1 vehicles, other than the Ottawa one, that has
2 the Adetel APU, for example. So obviously the
3 return of experience from other projects to help
4 the Ottawa situation was not there, at least
5 from the APU standpoint. So I don't know off
6 the top of my head, for example, propulsion or
7 the braking system or door system, whether they
8 have used those, or derivatives of those, on
9 other projects. Unfortunately I don't have that
10 level of detail or information.

11 ANTHONY IMBESI: And the APU, that's
12 the auxiliary power unit you described
13 previously?

14 JOSEPH MARCONI: Yes. For sure they
15 have never used Additel before and I'm sure this
16 is their first attempt in using that supplier,
17 and I think it backfired on them.

18 ANTHONY IMBESI: So do I take it then
19 from what you've indicated to us that you've
20 never had prior experience with an Alstom train?

21 JOSEPH MARCONI: Correct. This would
22 be my first Alstom train.

23 ANTHONY IMBESI: And --

24 JOSEPH MARCONI: I did work with
25 Alstom before in, China. But in China it was a

1 Bombardier train being built by the Chinese with
2 Alstom automatic train control. So they were
3 the Thales suppliers for the Beijing Olympics,
4 2008 Beijing Olympics.

5 So I was the vehicle supplier back
6 then -- well, it was our designs, Bombardier,
7 manufactured by the Chinese for us in China for
8 the 2008 Olympics. And Thales were the
9 subcontractors with the City of Beijing to
10 install the automatic train control system. So
11 I had some interfacing with them, but from a
12 different perspective.

13 ANTHONY IMBESI: And to your
14 knowledge, is this the first time a CBTC
15 signaling system has been integrated with a
16 low-floor LRV?

17 JOSEPH MARCONI: I don't believe so.
18 I believe there are others out there in the
19 world that have it. But I believe this might be
20 the first one in North America with the Thales
21 system.

22 ANTHONY IMBESI: And does integrating
23 a CBTC system with a low-floor LRV, does that
24 create any interface or technical challenges?

25 JOSEPH MARCONI: I don't think so. I

1 think up -- well, the challenges are, like I
2 said earlier, fine tuning the integration work
3 and making sure that both systems are
4 harmonized. That can be challenging and take
5 time. And it worked. I mean, it's possible.
6 It just takes time and proper methodology to
7 work through your issues and make sure that you
8 understand each other's inputs and outputs.

9 ANTHONY IMBESI: Are there any of
10 those challenges to work through that are unique
11 to the fact that it's a low-floor LRV versus an
12 LRV that is not low floor? I'm just trying to
13 understand the distinction.

14 JOSEPH MARCONI: No. You're going to
15 get those challenges whether it's a subway
16 vehicle or a commuter-type vehicle, especially
17 when you got --

18 -- TECHNICAL ISSUES --

19 ANTHONY IMBESI: Mr. Marconi,
20 following the technical disruption there, if you
21 could recall what you were saying in your
22 answer, just to make sure it's accurately
23 reflected in the transcript?

24 JOSEPH MARCONI: I think I was saying
25 that it's no different than integrating a Thales

1 system or a train control system with any other
2 type of vehicle in terms of commuter train or
3 subway vehicle, high-speed train, for example,
4 if that has it. It's just another -- it's just
5 another type of mode of transportation.

6 And so integration, yes, there are
7 challenges involved in that, but it's no
8 different than any other vehicle integration.

9 ANTHONY IMBESI: Is there anything
10 about the specific vehicle requirements for this
11 project that made integration more challenging?

12 JOSEPH MARCONI: I don't think so. I
13 think more so -- I think in my mind when I came
14 on board and I looked at what was going on
15 and -- to me I think it was more the vehicle
16 selection. Like, why LRV? I think that
17 question was more in my mind rather than -- if
18 they wanted LRV that's fine, but I don't think
19 that LRV was the right choice for that type of
20 system. It's an LRV. It's a streetcar. So
21 you're taking a streetcar and running in
22 tunnels, and underground and elevated stations
23 and stuff like that. This vehicle was designed
24 basically for picking up passengers on the
25 street.

1 So was it the right technology? I
2 don't know. I mean, I think the last 10 or 15
3 years -- it's like the Tesla, everybody wants a
4 Tesla, right? So maybe they wanted the prestige
5 of having an LRV. But is it the right
6 technology for the application? I question that
7 more than probably anything.

8 ANTHONY IMBESI: And so what are the
9 characteristics about the LRV technology that
10 might make it unsuitable for that application?

11 JOSEPH MARCONI: Well, I mean, all the
12 equipment is mounted on the roof of the vehicle,
13 so it's got a higher centre of gravity, which
14 means that in curves and things like that it's
15 not generally as stable as, say, a subway car
16 where all the equipment is mounted underneath
17 the vehicle and the centre of gravity is a lot
18 lower.

19 Also from a maintenance perspective,
20 or even a train recovery perspective, I mean, if
21 you're out on the main line and have a failure
22 and all your equipment is on the roof, how do
23 you get up there to fix it? Yeah, you can go on
24 the laptop and see if you can get it to work
25 from inside the car by plugging in through an

1 electrical port, but if you have to do something
2 on the roof how do you get on the roof? You
3 need a ladder or a sky hook to get on to the
4 roof. On a subway car you get on the track and
5 get under the train and work on it there.

6 Even in the operations and maintenance
7 facility, MSF, I mean, you have to have catwalks
8 and walkways, and things like that, in order to
9 access the equipment on the roof. So from a
10 maintenance and as well as an emergency recovery
11 perspective, I don't particularly favour LRV for
12 that type of system. Great for the street, low
13 level entry, people need to get on board, you
14 don't need fancy platforms and fancy stations.

15 And whatever -- you're intermixed with
16 traffic and things like that, those are
17 obviously concerns, but you have a dedicated
18 guideway for an LRV and a full ATO capability
19 with a driver. I mean, this vehicle is capable,
20 truly capable of running all by itself, yet we
21 have a driver. That's mystifying in my mind.

22 ANTHONY IMBESI: And so when you're
23 talking about the LRV it's -- the primary
24 attraction, I suppose, is when you're dealing
25 with it, for example, on the street because it's

1 accessible without a platform, is that because
2 it's a low-floor type vehicle?

3 JOSEPH MARCONI: Correct. Yes. It's
4 easy for people to get on board and get
5 on-and-off the train.

6 You look at what we've done -- when I
7 was at Bombardier we did the Flexity vehicle.
8 All their previous streetcars were a few steps
9 up to get onto the vehicle and you're prone to
10 tripping and falling as you're entering and
11 exiting the vehicle. It's a lot easier for
12 people to get in with wheelchairs, easy to lift
13 with a ramp. So the technology is big if you're
14 running in mixed traffic on the streets. But on
15 a dedicated alignment with no mixed traffic --
16 this vehicle even has turn signals, and I don't
17 know why it has turn signals because there's --
18 it's on a dedicated alignment and the tracks go
19 one way. There's no left or right turns, it's
20 following that track no matter what. So is it
21 the right technology? I don't know.

22 It's beautiful technology, don't get
23 me wrong, but is it the right one for Ottawa?
24 That's -- in my mind that's what I would
25 probably question the most.

1 FRASER HARLAND: Are there issues
2 related to the LRV as the chosen vehicle and the
3 speed that's required in Ottawa in your view?

4 JOSEPH MARCONI: I don't think so. I
5 think, you know, I think in the Project
6 Agreement there was a certain requirement for
7 meeting round trip travel times and the number
8 of passengers that it had to carry per
9 direction. And, you know, the vehicle is
10 capable of doing that and tested -- and tested
11 to prove that.

12 But -- so, you know, it can meet those
13 requirements, there's no question about it.
14 But, again, is it the right technology for that
15 application? I don't know.

16 ANTHONY IMBESI: And I appreciate you
17 weren't there at the start of the project, you
18 had no involvement in the negotiation of any of
19 the contracts. Are you familiar with the
20 provision in Alstom's subcontract that required
21 OLRTC or Thales to deliver a finalized CBTC
22 design by April 2013, which was a few months
23 into the project?

24 JOSEPH MARCONI: No. I'm sorry, I'm
25 not aware of that. It was way too early for me.

1 ANTHONY IMBESI: Would that be
2 practical in a project of this nature?

3 JOSEPH MARCONI: Well, okay, that's a
4 good question. When it comes to interfaces
5 with -- normally the CBTC system equipment is
6 what I call "plug and play", which means that
7 there's a rack, an electronic rack, and on the
8 back of the electronic rack you have interfaces
9 that tie into the electrical equipment that the
10 vehicle manufacturer, Alstom, would provide.

11 So when it comes to interfaces those
12 are the interfaces that would be critical to
13 having available, equipment having available to
14 get those connections made. As far as the
15 equipment sliding in and connecting to those
16 racks, that's not so critical because it's going
17 to be a long time, maybe not a long time, but
18 months later after you assemble the vehicle that
19 you need that equipment in order to start your
20 static testing and your dynamic testing. That's
21 when you need the brains of the system.

22 But those interfaces, where they
23 connect to the vehicle architecture, to the
24 vehicle wiring, to the vehicle structure, those
25 interfaces need to be finalized first.

1 So since I wasn't involved in the
2 early-on stages of the project, obviously I'm
3 not aware of what came first or what came
4 second, but from a design or historical
5 perspective I'm telling you those are the stages
6 that are critical when it comes to building a
7 vehicle and having those parts available to make
8 those connections.

9 ANTHONY IMBESI: So when you did
10 arrive on the project in August of 2019, how
11 were the Alstom and Thales schedules aligned?

12 JOSEPH MARCONI: I believe they
13 were -- they weren't too bad. I mean, I do
14 recall when I did arrive, I think it was a
15 couple months after I arrived, it was near
16 the -- Alstom was finalizing the production of
17 their last two vehicles, and what they found out
18 was that they didn't have -- they were missing
19 some of the Thales equipment I recall.

20 And there was a list generated of what
21 was missing. And I think they were missing
22 because the equipment had been -- all the
23 equipment was there but either through
24 installation or through testing the equipment
25 had failed, so it was removed and replaced with

1 another brand new one. But the failed units
2 were never sent back to Thales for repair, or if
3 they were sent back to Thales for repair Thales
4 didn't repair them right away.

5 So there was a big scramble between
6 October -- September and October of 2018 to find
7 all this missing equipment. I think by
8 mid-September they had located it all. They
9 knew exactly where it was. But I think there
10 was four or five pieces of equipment that Thales
11 had to fix, test and then send back to Alstom.
12 And I believe Alstom got that equipment sometime
13 in mid-December.

14 ANTHONY IMBESI: So aside from the
15 issue with the equipment then, did you feel that
16 the Alstom and Thales schedules were generally
17 on par in terms of what was required from each
18 of them to have things move forward?

19 JOSEPH MARCONI: I believe so, yes.
20 From what I could see, from my vantage point I
21 believe that they were on par. I kind of
22 really, you know, not that I don't really follow
23 schedules, but my major focus was the technical
24 aspects of the job rather than the schedule
25 aspects of the job.

1 ANTHONY IMBESI: Right. But I guess
2 it's fair to say that there wasn't something
3 critical missing from one of the parties that
4 the other expected to be there for them?

5 JOSEPH MARCONI: Other than those
6 pieces of equipment near the end, I can't recall
7 anything prior to that or even after that. Once
8 that was delivered I believe we were up and
9 running on Stage 1. And I think even when we
10 started Stage 2 there was a bit of delay getting
11 some of the parts.

12 But I don't think that really impacted
13 Alstom that much. They were still building that
14 vehicle. Did they really need the Thales
15 equipment right then and there? They were still
16 producing -- they still had their own production
17 worries to get through.

18 ANTHONY IMBESI: And so at the time
19 then that you arrived in the project was the LRV
20 production, or assembly, and the testing that
21 was planned to have gone on, that was behind
22 schedule?

23 JOSEPH MARCONI: Yes. I believe it
24 was behind schedule. Because I think the
25 original -- from when I got on board, I think

1 the -- from what I remember there was -- there
2 was talk about having substantial completion and
3 ready for RSA, and all that activity to take
4 place, I think it was May of 2018.

5 So when I got on board, you know, I
6 think the schedule was at least three to four
7 months delayed right then and there because we
8 had missed substantial completion in May of
9 2018, three months before I had even arrived on
10 the doorstep. So obviously the schedule was
11 late.

12 ANTHONY IMBESI: And did you have any
13 insight as to what those delays were?

14 JOSEPH MARCONI: No. I'm sorry, I
15 don't. At that particular juncture -- at that
16 particular time I was just trying to get my -- I
17 was getting my feet wet trying to figure out
18 where everything stood and who had what and how
19 I was to interact with all these different
20 people, all these new people and companies. So
21 that was basically my challenge, in August,
22 September and October, is just trying to get
23 myself wrapped around the design and the issues
24 and trying to move things forward as best I
25 could.

1 ANTHONY IMBESI: So in those months
2 following your arrival were there any production
3 or assembly delays of the LRVs, or any issues
4 with the signaling system in terms of delayed
5 provision of anything?

6 JOSEPH MARCONI: As far as the
7 signaling system was concerned, I don't know
8 anything much about the Wayside equipment, that
9 was mostly handled by Matt Slade.

10 I was generally involved just on the
11 vehicle side. So in terms of production delays
12 we would have somebody go through, I recall on a
13 weekly basis, and go through Alstom's production
14 line with them. And I think even sometime the
15 lenders were there. And then we would report on
16 their weekly progress week-by-week.

17 And I think that information was sent
18 along to Sharon Oakley, and she would forward
19 that information on to people within RTG and
20 OLRT at the management level just to give them a
21 week-by-week synopsis of how things were
22 progressing on the MSF floor in terms of Alstom
23 production.

24 ANTHONY IMBESI: And who would be the
25 one who was going through the production with

1 Alstom? I think you mentioned one individual
2 and additionally a lender representative.

3 JOSEPH MARCONI: The person that was
4 initially going through, it was a gentleman by
5 the name of Neil McDermott. I think he was
6 under contract by OLRTC, and I think he was on
7 the job until -- when I got there he was there
8 and I think he stayed until December of 2018.

9 And then after that Jean Louis Ozorak
10 took over Neil's position and then he became the
11 quality manager. And he did the weekly
12 walk-throughs with Alstom and then reported his
13 findings to Sharon, which included percent
14 completions in each of the stations.

15 And if there was any issues or if they
16 were missing any parts, it was basically a
17 weekly synopsis of what was happening on the MSF
18 floor.

19 ANTHONY IMBESI: You mentioned that
20 that information was provided to Dr. Oakley for
21 her to do with it what she was required to do.
22 Was that information that was relevant to your
23 job performance, or were you not necessarily
24 concerned with the minutiae of how the assembly
25 and production was proceeding?

1 JOSEPH MARCONI: Yeah. I read it and
2 I scanned through it just to see if there was
3 any of the impacts of what I was doing. But,
4 generally speaking, in terms of what I needed to
5 get done, in terms of inspecting the vehicles,
6 provisionally inspecting the vehicles and making
7 sure we got completion of any type testing,
8 qualification testing, so to speak, any
9 integration issues that needed to be resolved,
10 that was my primary focus rather than how things
11 were going on the production line.

12 Obviously if there was something that
13 they wanted me to do or get involved in I would
14 be open to that, but I don't recall much
15 involvement in that.

16 ANTHONY IMBESI: And you've mentioned
17 for us a number of different types of testing.
18 And we've heard reference to a few different
19 types. Could you just explain some of these
20 types of testing? You mentioned "component
21 testing". What is component testing?

22 JOSEPH MARCONI: Component testing is
23 basically individual testing of an item. For
24 example, I'll use the APU again, for lack of a
25 better choice. But a component test would be

1 something that Alstom's subcontractor would be
2 doing to validate the performance of their
3 equipment at the component level.

4 So either they send that equipment to
5 a lab or they would send that equipment -- or
6 they would keep that equipment in-house and test
7 it for water infiltration, or for noise that it
8 may generate, or how much heat dissipates from
9 it while in operation. So they would run their
10 own individual component-level testing. All of
11 the major pieces of equipment would have their
12 own component-level test.

13 ANTHONY IMBESI: And would all of that
14 have been completed prior to your involvement in
15 the project?

16 JOSEPH MARCONI: Correct, yes. So
17 normally what happens is you have your component
18 level testing, all the reports and documents
19 regarding the passing of those testing would
20 have been submitted to OLRTC and then on to the
21 City.

22 They would -- questions would go
23 back-and-forth until a resolution of all those
24 questions was obtained. And then they would
25 probably do a first article inspection where

1 they would go and inspect that piece of
2 equipment for quality of workmanship, things
3 like that.

4 And then eventually, once that was
5 done, the equipment could then be shipped to the
6 assembly facility.

7 ANTHONY IMBESI: So all of that had
8 been completed prior to your involvement. Were
9 there any concerns arising out of the component
10 testing that were still being addressed?

11 JOSEPH MARCONI: You know, to be
12 honest with you, there was -- out of all the
13 components there was what we call "CRE" or "CRI"
14 sheets that were generated between OLRTC and
15 Alstom and the City and the City's consultants.
16 Because I think the City had consultants
17 reviewing most of these test reports. So to say
18 that there wasn't any issues, I believe there
19 was some open issues, open questions. How many?
20 That's a good question. Off the top of my head
21 I can't remember, but there definitely had to be
22 some questions that still hadn't been resolved
23 in regards to component testing.

24 ANTHONY IMBESI: Anything of
25 significance that you can recall?

1 JOSEPH MARCONI: I'm sorry, I can't
2 recall anything specific that jumps out into my
3 mind now, no.

4 ANTHONY IMBESI: And you also
5 mentioned "type testing"?

6 JOSEPH MARCONI: Yes.

7 ANTHONY IMBESI: Just give us a brief
8 explanation as to what that is?

9 JOSEPH MARCONI: Generally type
10 testing would be like a one-off test. And
11 component testing can be a type test as well.

12 So basically a type test is a test
13 where you only do it once. Like, for example, a
14 climate room chamber test, which was done at the
15 NRC facility for this vehicle.

16 And so they would do that test once to
17 prove the heating and cooling capability of the
18 vehicle. So that would be a type test, for
19 example.

20 ANTHONY IMBESI: And would that
21 testing have included the actual performance or
22 functionality of the vehicle in those
23 conditions, or was that strictly related to the
24 heating, cooling capabilities?

25 JOSEPH MARCONI: It's a static test,

1 so the vehicle is put into a -- you know, a
2 closed chamber that can simulate heat and cold,
3 and so the vehicle is not running dynamically.
4 So that's just simulating the capability of the
5 HVAC system to keep up with the thermal loads
6 that are imposed on it, whether it's summer or
7 winter conditions.

8 FRASER HARLAND: Is type testing
9 another word for validation testing? Are those
10 used interchangeably?

11 JOSEPH MARCONI: You could use them
12 interchangeably, as well as qualification
13 testing. So you're qualifying something, you're
14 validating something, you're type testing
15 something, all those terms are kind of
16 synonymous.

17 ANTHONY IMBESI: And I also understand
18 then there's serial testing, both static and
19 dynamic. Could you explain those for us as
20 well?

21 JOSEPH MARCONI: Okay. An example of
22 a series test is each vehicle would have to go
23 through a propulsion and braking test.

24 So the vehicle would be put out on the
25 main line and run at certain speeds and you

1 would have to make sure that after you apply the
2 brakes you stop within a certain distance. And
3 then you validate and measure that distance to
4 make sure that the brakes were stopping
5 correctly and not exceeding thermal limits or
6 thermal temperatures of the brake disks or the
7 brake pads.

8 Acceleration performance, so putting
9 the train at a certain notch on the master
10 controller that it could go 40, 50, 60
11 kilometres per hour within a certain timeframe.
12 So all these tests, the acceleration curve and
13 the deceleration curves were all plotted. Jerk
14 brakes, for example. How -- when the vehicle
15 brakes at the end it doesn't cause any excessive
16 jerks so that it prevents people that are riding
17 the train from stumbling and falling over
18 because of the braking is too abrupt. So all
19 these things are done as a form of series tests.

20 ANTHONY IMBESI: So series tests,
21 those are things that are performed on each LRV?

22 JOSEPH MARCONI: Correct. It can be
23 done on a component level too. So a component
24 level could have a series test as well as the
25 entire vehicle.

1 ANTHONY IMBESI: Right. Just meaning
2 it's done on each and every LRV as opposed to a
3 one-off, if you're just dealing with testing one
4 component to make sure it generally --

5 JOSEPH MARCONI: Exactly.

6 ANTHONY IMBESI: And then of those,
7 the static, are those tests that are undertaken
8 when the train is not in motion, for example, in
9 the MSF facility?

10 JOSEPH MARCONI: Correct. And the
11 manufacturing facility, the static ones, the
12 trains is not in motion. And the dynamic ones,
13 the train is in motion.

14 ANTHONY IMBESI: And is there any
15 distinction as to what is tested? And I
16 appreciate you're performing test that are
17 required for the LRV to be in motion, but when
18 you're dealing with the static test does that
19 include any elements of the signaling system?

20 JOSEPH MARCONI: Yes. Once the
21 vehicle is completed by Alstom and they've
22 validated their own static and dynamic tests,
23 then the vehicle is handed over to Thales and
24 Thales then perform static as well as dynamic
25 testing of their systems.

1 ANTHONY IMBESI: So it's a two-part
2 process. Alstom would undergo the static and
3 dynamic testing of their component, being the
4 actual LRV, and then it would move on to Thales
5 to perform static and dynamic testing with
6 respect to their signaling components?

7 JOSEPH MARCONI: Exactly.

8 ANTHONY IMBESI: And is that what's
9 referred to as the "static and dynamic PICO
10 tests"?

11 JOSEPH MARCONI: Yes.

12 ANTHONY IMBESI: And that's when those
13 tests are performed by Thales, is when they're
14 referred to by PICO?

15 JOSEPH MARCONI: Yes. S PICO and D
16 PICO.

17 ANTHONY IMBESI: Post integration
18 check out?

19 JOSEPH MARCONI: Correct.

20 ANTHONY IMBESI: In there as well --
21 is there a provisional acceptance test that is
22 undertaken?

23 JOSEPH MARCONI: There's a provisional
24 inspection. So as part of the provisional
25 inspection we visually inspect the vehicle, this

1 is something that OLRTC does. We inspect the
2 roof, we inspect the undercars, we inspect the
3 sides, we inspect the interior, we inspect the
4 cabs. And as a subset of that we also -- at
5 least on Stage 2, we run certain static
6 verifications to make sure that some of the
7 safety things are working properly, like the
8 bell, the horn, the communication system, the
9 interior communications that -- the PA.

10 So there are certain static
11 validations that we do as part of our
12 provisional acceptance testing and inspection.

13 ANTHONY IMBESI: And is that something
14 that's performed -- that's just by OLRTC?

15 JOSEPH MARCONI: It's OLRTC's event,
16 but it's supported by Alstom.

17 So, you know, they basically run, they
18 turn the switches, they run the test and we sit
19 there and observe. And in some cases we may sit
20 in the operator seat and we'll turn on the air
21 conditioning, or we'll turn on the interior
22 lights, or whatever. So we sit in the cab seat
23 and we run through certain static checks with
24 Alstom in attendance as part of that provisional
25 acceptance process.

1 ANTHONY IMBESI: I guess what I was
2 getting at, this isn't provisional acceptance by
3 the City of Ottawa or the end client. This is
4 the provisional acceptance by OLRTC?

5 JOSEPH MARCONI: When Stage 1 was done
6 it was done with only OLRTC. However, when
7 Stage 2 was done I, as part of my procedure,
8 because I had to write a procedure for Stage 2
9 because there was none for Stage 1, I actually
10 included the City to be part of that. I invited
11 them; they can either attend or not attend.

12 But in Stage 2 that's what I did. I
13 invited the City. They could participate with
14 OLRTC to do the provisional acceptance with us,
15 if they wanted to come or not. But in Stage 1
16 the City was not there.

17 ANTHONY IMBESI: What was the benefit,
18 or what was the reasoning for having the City
19 involved in the Stage 2, provisional acceptance
20 testing stage?

21 JOSEPH MARCONI: I guess the more
22 eyes, the more ears that you have the more
23 things you can find and catch. We didn't want
24 to get into a situation where OLRTC went through
25 it, we think we caught everything and then all

1 of a sudden we get to the stage where, holy
2 smokes, the City saw this or they encountered
3 this and we missed it.

4 So I kind of learned my lesson when we
5 went through the final acceptance process of the
6 Stage 1 vehicles, that's where the City was
7 involved. And I found that to be a real benefit
8 to have all the stakeholders involved.

9 So I guess it's a good thing as part
10 of a P3, so that we would all come to the same
11 conclusion that, yeah, that really is an issue
12 or no, that's not really an issue and let's move
13 on. So it broke down any barriers that may have
14 presented themselves on Stage 1 versus Stage 2.
15 I didn't want to go down that route on Stage 2.

16 ANTHONY IMBESI: Is it because the
17 City's input as the operator is of assistance to
18 you?

19 JOSEPH MARCONI: Sure, it's important.
20 Who knows their people or their drivers better
21 than them? So as operators, at the end of the
22 day, they have to be comfortable with the
23 process, they have to be comfortable with what
24 they're getting. And the sooner you know
25 they're not comfortable with what they're

1 getting then the sooner you can react to find
2 solutions to either mitigate the problem or fix
3 it.

4 ANTHONY IMBESI: So did you feel that
5 the City, in hindsight, should have been
6 involved earlier in that process as the end
7 operator?

8 JOSEPH MARCONI: They could have --
9 you know, hindsight is 20/20. But Jacques had
10 gone through twenty vehicles that way so I
11 carried on with that process, the provisional
12 acceptance portion anyway, for the remaining six
13 vehicles or so, seven, eight vehicles. So
14 anyways, it is what it is.

15 And I decided that it would be a
16 benefit to do that on Stage 2 so that's what I
17 did.

18 FRASER HARLAND: If I can jump in? Do
19 I understand correctly that provisional
20 acceptance was not originally part of Alstom's
21 requirements and that was added part way through
22 the project? Do you know anything about that?

23 JOSEPH MARCONI: No. I'm not aware of
24 that at all and I don't recall. When I got on
25 board that was provisional acceptance at that

1 time, and Jacques was doing it, he did twenty
2 vehicles. We would get a safety cert from
3 Alstom at that time. We would get the Canadian
4 content form and we would get the keys to the
5 vehicle, two keys to the vehicle once the
6 provisional acceptance was finished.

7 ANTHONY IMBESI: So following
8 provision inspection or acceptance you then
9 spoke about final acceptance.

10 JOSEPH MARCONI: Yes.

11 ANTHONY IMBESI: And that's the
12 procedure you described earlier where the City
13 was involved, you went through the vehicles, and
14 ultimately the punch list, and the MDL was
15 derived from what came out of those inspections,
16 for the purpose of the final acceptance test?

17 JOSEPH MARCONI: Yes. You got that
18 right.

19 ANTHONY IMBESI: So we're about half
20 way through so perhaps it's now a good time
21 to -- we'll take a 15-minute break.

22 -- RECESSED AT 10:28 A.M. --

23 -- RESUMED AT 10:45 A.M. --

24 FRASER HARLAND: Mr. Marconi, related
25 to final acceptance, I understand that there

1 were two different sets of final acceptance
2 certificates that were signed with Alstom, does
3 that ring a bell with you at all?

4 JOSEPH MARCONI: Yeah. I recall that
5 issue but I think the first one was done in
6 error.

7 FRASER HARLAND: Can you just explain
8 that issue a little by more for us, please?

9 JOSEPH MARCONI: My memory is a little
10 bit foggy on this one. I think I signed the
11 certificates but I shouldn't have signed them
12 because we hadn't completed everything at that
13 time, if I recall correctly. I'm sorry, I just
14 can't remember what transpired. But I do recall
15 there was some confusion about final acceptance
16 and either the signing of the certificates
17 prematurely. Sorry, I can't help you there
18 right now.

19 FRASER HARLAND: That's helpful, thank
20 you.

21 ANTHONY IMBESI: Mr. Marconi, were you
22 aware that the initial plan was for the assembly
23 of two prototype vehicles, first in France and
24 then in Hornell, New York, and that was
25 subsequently moved to be conducted in Ottawa?

1 Are you familiar with that?

2 JOSEPH MARCONI: From my
3 understanding, when I got on the project, I'm
4 not sure about France, but I think the first
5 vehicle came out of Hornell, New York. That's
6 my recollection, but I could be wrong. I'm not
7 sure if it was two vehicles or one, but I'm
8 pretty sure they came out of New York instead of
9 out of Europe.

10 ANTHONY IMBESI: And just in respect
11 of the two prototype vehicles, do you have any
12 knowledge or opinion as to whether any of the
13 validation or other types of early testing that
14 would normally be done on the two prototype
15 vehicles were done prior to serial production in
16 the way it was planned?

17 JOSEPH MARCONI: No. I wouldn't have
18 any recollection of that. I wasn't involved so
19 I don't know what came first at what stage,
20 sorry.

21 ANTHONY IMBESI: Thank you. And so
22 turning now, I'd like to speak a bit about some
23 of the retrofits that I understand took place on
24 the vehicles. Were there a number of retrofits
25 that were undertaken during your time on the

1 project?

2 JOSEPH MARCONI: Yes. We were meeting
3 with Alstom on a weekly basis. And they were
4 doing some retrofits either on, you know, the
5 cab doors for example, putting the plastic ones
6 in or they were doing retrofits on their brake
7 equipment, the hydraulic pump units that were
8 failing, either changing spool valves or
9 solenoid valves. So there was retrofits going
10 on, and most of these retrofits were coming out
11 of the -- I would say -- because the vehicles
12 were being exercised and run and tested on the
13 alignment, they were getting used. And some of
14 infant mortality problems were coming out, or
15 maybe there was design issues.

16 So things were failing, and as they
17 were failing Alstom was investigating and -- in
18 determination with their suppliers that these
19 items, these components needed to be repaired or
20 replaced.

21 And so, yes, there was a retrofit
22 exercise going on as we were -- as they were
23 building and as we were testing, all in
24 parallel.

25 ANTHONY IMBESI: So you mentioned the

1 hydraulic power unit, were these some fairly
2 major components that were failing or having
3 issues requiring fairly extensive retrofits? Or
4 how would you characterize that?

5 JOSEPH MARCONI: A hydraulic power
6 unit is, in my opinion, a fairly major piece of
7 equipment. It's what transmits the command or
8 the demands for braking to the bogies to say,
9 apply or release the brakes. So that's
10 definitely a safety consideration.

11 So, as I said, I think the hydraulic
12 pump unit had gone through -- at least when I
13 was there, at least four or five different
14 modifications.

15 And there is documentation out there
16 that Alstom retains, what they call "FMIs",
17 field modification instructions, they're
18 actually quite well done by the -- by Alstom
19 subcontractor, Wabtec because they -- whenever
20 they release it they -- it contains all the
21 history of all the modifications that were done
22 to that particular piece of equipment. So you
23 can see the full history, the full gamut of
24 changes from day 1 in terms of what they did and
25 when they did it.

1 ANTHONY IMBESI: And so in addition to
2 the HPU, do I understand there were also issues
3 with brake calipers, or is that a related
4 component?

5 JOSEPH MARCONI: It's another piece of
6 equipment as part of the brake equipment, the
7 caliper is mounted on the bogie. Those
8 calipers, they have the brake pads, it's the
9 same as the brake caliper on your car. They
10 squeeze brake disks when hydraulic oil is
11 actually removed because it's a spring-applied
12 hydraulic release system for fail-safe
13 application.

14 So they had some issues with their
15 calipers, and I believe they had some corrosion
16 issues with their calipers. And I think they
17 had some issues where the calipers wouldn't
18 release properly, they would get hung up and
19 cause like a dragging brake.

20 ANTHONY IMBESI: And were both the
21 brake caliper issue and the HPU issue, were
22 those ultimately resolved in a satisfactory way?

23 JOSEPH MARCONI: Yes, they were. They
24 were fixed and the corrections appear to have
25 been taken correctly, yes, as far as I'm

1 concerned.

2 ANTHONY IMBESI: And I think you had
3 already mentioned the APS, the auxiliary power
4 supply unit?

5 JOSEPH MARCONI: APU.

6 ANTHONY IMBESI: APU?

7 JOSEPH MARCONI: APU, APS. They call
8 it CVS sometimes in French which I don't know
9 what the French words are but they call it CVS
10 sometimes.

11 ANTHONY IMBESI: And was that also an
12 item that had to undergo a retrofit campaign to
13 address --

14 JOSEPH MARCONI: That was more of a
15 major one in terms of retrofit because, you
16 know, for one thing we didn't know the root
17 cause of why they were failing. I think
18 eventually Alstom did provide a report to us and
19 I think that went to the City to indicate, you
20 know, the components within the unit, why those
21 components were failing. I think Alstom had
22 some difficulties with their subcontractor
23 there, Adetel. And I think it came to such a
24 point that Alstom set up their own work cell in
25 the Brampton facility in Toronto to repair their

1 subcontractor's equipment.

2 So they hired somebody or they had
3 somebody that had the technical knowledge and
4 know-how, and was getting the parts that needed
5 to be replaced and taking equipment and
6 repairing them in Brampton.

7 ANTHONY IMBESI: And was that issue
8 ultimately resolved to your satisfaction?

9 JOSEPH MARCONI: Well, I don't know if
10 it's -- I still believe it could be a ticking
11 time bomb out there. I don't know if it's all
12 been fully resolved yet. I think Alstom's under
13 the impression that as they're running
14 maintenance or as they were doing the warranty
15 on this thing, if things were to happen then
16 they're going to -- they've got enough spare
17 parts out there to try and fix any ones that do
18 fail.

19 But personally I think -- I still
20 think that they may not be robust enough. So
21 what Alstom has done is they have gone to a
22 secondary source. They have gone to another
23 supplier, ABB, which I have more confidence in
24 because I have worked with ABB in the past,
25 they're a pretty good supplier of equipment.

1 And we're in the process right now of
2 trying to qualify a secondary source. We don't
3 know which vehicles, Stage 2 vehicles, those
4 APUs are going to go on the ABB APUs, because
5 Alstom has not told us yet. But we know that
6 it's on LRV43 and I believe LRV44, so two of
7 those vehicles. But none of those units have
8 entered service yet.

9 So everything in service currently has
10 Adetel -- mostly repaired Adetel equipment on
11 it.

12 ANTHONY IMBESI: That you say could
13 potentially still could be the ticking time
14 bomb?

15 JOSEPH MARCONI: I still think there
16 could be some issues there that will cause them
17 to fail over time. Maybe not immediately, maybe
18 a year or two down the road, maybe five years
19 down the road, I don't know. But I just -- I
20 just have a gut feeling that -- it's just my
21 perception that I don't think we're over with
22 that issue yet.

23 ANTHONY IMBESI: And would that be
24 something that was noted in the punch list and
25 the MDL?

1 JOSEPH MARCONI: Yes. That's -- it's
2 definitely in the MDL. And I can't recall if
3 it's in the punch list as well, but I think it
4 was initially on the punch list on Stage 1. So
5 I'm not sure if we carried that forward on Stage
6 2, but I'm pretty sure it was on the punch list
7 as well.

8 ANTHONY IMBESI: And just in terms of
9 major other issues that we heard reference to,
10 was there any issue with the line contactors? I
11 know earlier today we spoke about the overhead
12 catenary system.

13 JOSEPH MARCONI: Yes. There was
14 issues with line contactors and line inductors.
15 Line contactors I think had gone through three
16 or four different iterations of that equipment.
17 It appears to have stabilized now so I've got a
18 little bit more confidence in what's they have
19 got right now on the vehicles is fit for use. I
20 haven't heard of any recent failures in that
21 respect. So, yeah, it's another item that
22 Alstom had some issues with.

23 ANTHONY IMBESI: Would that be
24 something that was also noted in the MDL?

25 JOSEPH MARCONI: Yes, I believe it

1 was.

2 ANTHONY IMBESI: And is it this
3 specific issue that has caused, to your
4 knowledge, the arc flashes?

5 JOSEPH MARCONI: They can cause
6 flashes but I think there's a cover on them.
7 There is an enclosure on them. I think it's
8 the -- if I'm not mistaken I believe it's the
9 line inductors that were on the propulsion
10 equipment cases that caused the flash-over and
11 the arcs. Because I think the line inductors
12 were not protected properly, the cover on them
13 was not sufficient enough to prevent water
14 ingress. And I believe the insulation on these
15 line inductors, they're basically huge coils
16 that sit inside the propulsion equipment cases,
17 and I think the insulation material was not
18 appropriately applied. And the -- once these
19 line inductors got dirty with soot and grime,
20 and got wet, because water was in there, they
21 arced over and grounded themselves against any
22 adjacent metal that they could find. So I think
23 the arcing issue was generally due to the line
24 inductors.

25 ANTHONY IMBESI: And you had mentioned

1 the door release mechanism, emergency door
2 release mechanism, was this an item that was
3 subject to retrofits prior to RSA?

4 JOSEPH MARCONI: Yes. That's another
5 item that Alstom had issues with, EDR. I recall
6 at least two problems. One where they -- when
7 EDR was not activated, would not open the door.
8 The door would remain basically -- it would open
9 slightly but it would not be allowed to
10 completely open up. And sometimes -- in some
11 cases it actually closed on itself.

12 So they had some issues, I believe,
13 with the assembly of the EDR itself. They
14 added -- there was a grommet, there was some
15 device inside the EDR that was preventing it
16 from doing the full release so they had to
17 redesign that.

18 And there was another issue later on,
19 I think this is after revenue service started,
20 where a passenger pulled the EDR between two
21 stations and the doors actually opened and
22 allowed the passenger to extricate himself from
23 the vehicle, and that shouldn't have happened.

24 The EDR -- when it's a certain
25 distance beyond the platform the EDR will

1 activate the door, open it slightly but not
2 permit the passenger to open the door completely
3 until the vehicle arrives at the next station
4 for safety implications, you just don't want
5 passengers between stations walking around.

6 They had to do a retrofit of that, I
7 think they had to do some revised circuitry for
8 that particular modification.

9 ANTHONY IMBESI: So in terms of the
10 retrofit that was done with respect to that
11 issue prior to RSA, is it your view then that
12 given what happened during operations that that
13 matter wasn't fully rectified prior to revenue
14 service, or is that a separate issue?

15 JOSEPH MARCONI: It wasn't recognized.
16 There was something that wasn't recognized prior
17 to revenue service. So there's things that
18 happen, there's failures that can happen that --
19 and I think it's normal in the industry that
20 failures can occur after a vehicle is accepted,
21 after you have gone through all your testing
22 regimes, all your checks and balances and
23 something does happen and you go, oh, this was
24 missed. And it does happen.

25 ANTHONY IMBESI: And so when these

1 different issues that you've discussed are being
2 discovered, are they typically discovered
3 through the testing process at different stages
4 of testing?

5 JOSEPH MARCONI: Yes, so they can be
6 discovered almost at any time, I mean either
7 through testing -- or even through, you know,
8 static testing or dynamic testing things don't
9 give you appropriate results after you test
10 them. And then you drill back or do a root
11 cause analysis and determine that the cause of
12 that failure of the test is a result of either
13 equipment failure or some parameter being out of
14 tolerance. So, yes, you know, a lot of things
15 can be found through a testing regime in terms
16 of finding deficiencies.

17 And sometimes just equipment it just
18 fails. I mean, a light bulb goes out and it
19 just happens. You've tested it, the light bulb
20 worked the day before, you test it the next day
21 and the light bulb doesn't work.

22 ANTHONY IMBESI: So when some of these
23 issues are discovered during testing, at
24 whatever stage of testing it might be, Alstom,
25 or whomever is responsible, has to undertake a

1 retrofit, in what circumstances then will the
2 vehicle have to be retested?

3 JOSEPH MARCONI: Um, I guess in cases
4 where you know if it failed during that
5 particular test then -- and you'd have to repair
6 the equipment and then retest that portion of
7 the test after the repair. So in cases like
8 that you could also have cases where, you know,
9 you have where Alstom is finished all their
10 testing, they handover the train to Thales, and
11 then all a sudden you have an equipment failure
12 of braking or propulsion while Thales is testing
13 the vehicle, which means the train has to go
14 back to Alstom, they have to do the repair,
15 which could dictate Thales having to retest
16 their test because of failure of Alstom
17 equipment.

18 -- [TECHNICAL ISSUES] --

19

20

21

22 -- RECESSED AT 11:02 A.M. --

23 -- RESUMED AT 11:05 A.M. --

24 ANTHONY IMBESI: So in terms of the
25 retrofits prior to the technical issue, we had

1 spoken about, how in certain circumstance once
2 retrofits were completed the LRVs had to be
3 retested.

4 So I guess what I'm driving at is, did
5 the necessity of Alstom having to undertake a
6 number of these retrofits, did this impact or
7 delay the testing and commissioning of the LRVs,
8 whether just by virtue of retrofits having to be
9 performed, and that taking time, or by virtue of
10 any of these retests having to happen? Was the
11 testing and commissioning delayed as a result of
12 these retrofits?

13 JOSEPH MARCONI: I would have to say
14 yes, but I don't know the scale of the delay. I
15 mean, I was tasked basically to try and get them
16 to get these retrofits done as quickly as they
17 could so we could get into the final acceptance
18 of the vehicles, get to substantial completion.
19 So, yes, I would say it must have had been
20 impact in terms of getting to that stage. How
21 much of an impact it had, I can't tell for sure.

22 ANTHONY IMBESI: And just to orient us
23 with the process and where it was at during this
24 time, so at the time that these retrofits were
25 being undertaken, was the initial assembly of

1 the entire fleet completed?

2 JOSEPH MARCONI: No. When I came on
3 board in August they were already into the
4 retrofit program on some of the trains, and that
5 carried on well into December or January of
6 2019, this retrofit program. And at that
7 particular juncture there were still a few cars
8 that needed to be assembled.

9 As a matter of fact, I also recall
10 that LRV 2 and LRV 8 actually had to be pulled
11 out and renumbered as LRV 35 and 36. What
12 Alstom did is they took two Stage 2 vehicles --
13 they were along on Stage 2 vehicles more so and
14 could get them to be part of Stage 1 rather than
15 completing the work they had to do on LRV 2 and
16 8.

17 So Alstom still had some challenges in
18 terms of getting the cars completed and
19 manufactured in spite of the retrofits going as
20 well, so all that was happening parallel. But
21 they had to steal two vehicles from the Stage 2
22 supply in order to make up the 34 vehicles for
23 Stage 1 delivery.

24 ANTHONY IMBESI: And was that because
25 vehicles 2 and 8 just weren't sufficiently

1 progressed in terms of assembly or were they
2 LRVs that were undergoing such significant
3 retrofits that it was easier to bring in two
4 Stage 2 vehicles? I just want to understand
5 that.

6 JOSEPH MARCONI: LRV 2 was used for a
7 lot of the major qualification testing in terms
8 of load weight testing, where they put sand bags
9 up to AW3. So it was in no condition -- it had
10 sand all over the inside of it. It had no
11 interior. It was basically a test train that
12 was gutted in order to perform their braking --
13 dynamic braking and propulsion testing from a
14 type testing perspective, and other test as
15 well. So that test -- that vehicle was a test
16 train and so it had a lot of work needed to be
17 done on it.

18 LRV 8 was a train -- I think they were
19 taking parts off of it. I'm not sure what
20 happened during the production phase of it
21 because I wasn't there during that timeframe.
22 But I think they started taking parts and
23 components off of it and using them for other
24 trains to keep production going somewhere else.
25 So it became kind of like a -- like a train that

1 got left there with a number of parts missing.
2 They figured it was easier to carry on with the
3 Stage 2 delivery rather than rebuild and bring
4 number 8 back to life.

5 ANTHONY IMBESI: So -- and the parts
6 that were taken -- that were taken from LRV 8
7 were those used to complete or retrofit other
8 Stage 1 vehicles?

9 JOSEPH MARCONI: I believe so, yes.

10 ANTHONY IMBESI: And as a result LRV 8
11 was not in a state to be delivered as a
12 functioning vehicle?

13 JOSEPH MARCONI: Correct. So they --
14 we renumbered then to LRV 35 and 36, and those
15 vehicles still haven't been delivered yet, that
16 was part of Stage 2. We started with vehicle 37
17 and 38, so there's two vehicles -- the first two
18 vehicles of Stage 2 that are still, as of today,
19 still in limbo.

20 ANTHONY IMBESI: And so -- and how
21 would the retrofit work proceed? I mean, would
22 Alstom be delivering some type of retrofit plan
23 with a progression or schedule?

24 JOSEPH MARCONI: Yes. Correct. We
25 met on a weekly basis. I believe Matt Slade was

1 in that meeting, Rupert was in the meeting, me.
2 I was there, Alstom was there, Bertrand Bouteloup
3 was there, Alexander L'Homme.

4 So we would meet on a weekly basis, I
5 believe it was a Wednesday. And Alstom would
6 present their schedule, where they planned to be
7 the following week and the week after that. But
8 I think their target was to have at least 30
9 vehicles available for trial running and revenue
10 service. I think it went up to 30 vehicles at
11 that time in terms of the schedule, I think
12 that's what their plan was. And those files
13 exist somewhere, those presentations from Alstom
14 showing the progression week-by-week.

15 ANTHONY IMBESI: So when Alstom would
16 present OLRTC with a plan and an initial
17 schedule to complete these retrofits, was it
18 your experience that the retrofits generally
19 proceeded in accordance with that schedule, or
20 was Alstom delayed in delivering these retrofits
21 as well?

22 JOSEPH MARCONI: No. They were
23 delayed in delivering the retrofits as well.
24 There's all sorts of reasons. There's parts
25 reasons or they still didn't know what they

1 needed to do yet or they were still
2 investigating, or things like that. So there
3 was -- the vendors had to set up shop in order
4 to fix the parts, things like that. So
5 sometimes things took a little bit more time
6 than originally planned. I think at one time
7 they even brought -- definitely they brought the
8 door supplier in to do some of the retrofits,
9 and even the brake supplier to do the retrofits
10 right at the end rather than sending equipment
11 back up to get repaired. Because it was easier
12 for them to control the equipment being repaired
13 locally rather than losing things and losing
14 time shipping things back-and-forth.

15 ANTHONY IMBESI: And so you've talked
16 about the retrofits and delays to the retrofits,
17 and you've also spoken about how there was some
18 production left to be done in terms of getting
19 the full compliment of trains.

20 And was it your view of this that
21 Alstom, having to proceed with all of that
22 together impacted their ability to deliver all
23 of this in a timely manner?

24 JOSEPH MARCONI: I would say, yes. I
25 mean, it's quite a -- it's quite an endeavour to

1 manage all of that effort. So and you have all
2 these subcontractors that you have to deal with
3 and get resolution from them as well.

4 And so, yeah, I would think there's
5 definitely an impact in terms of getting all
6 these trains ready.

7 Because, you know, you're building at
8 the same time, you're retrofitting, at the same
9 time, you're testing at the same time, things
10 are still failing. So you get into a bit of a
11 vicious circle as the vehicles are being used.

12 Yeah, it was a difficult, it was
13 definitely a difficult time.

14 ANTHONY IMBESI: And you've mentioned,
15 a little bit already, Stage 2. And I would like
16 to clarify, Alstom was involved in Stage 2 of
17 the LRT, which we're not focused on here. But
18 for the purposes of Stage 2 they were
19 manufacturing, is it 38 vehicles to be delivered
20 for Stage 2?

21 JOSEPH MARCONI: Correct.

22 ANTHONY IMBESI: So that was being
23 undertaken at the same time that they were
24 completing the assembly of the Stage 1 fleet, in
25 addition to performing the retrofits we've just

1 spoken about?

2 JOSEPH MARCONI: Correct.

3 ANTHONY IMBESI: And did you have any
4 insight as to whether Alstom's work on Stage 2
5 impacted on its ability to deliver what was
6 remaining for Stage 1?

7 JOSEPH MARCONI: I don't know how I
8 can answer that. I do know that we were doing
9 those weekly inspections, the walks in the shop.
10 So from that I think we can -- it can be
11 garnished on how things were progressing or not
12 progressing properly. I would have to say
13 they've only got so much footprint in that MSF,
14 and so -- yeah, I think there could have been
15 some sort of impact in terms of starting Stage 2
16 and impacting the additional work, or the
17 remaining work they had to do on Stage 1. I
18 would have to assume that there was definitely
19 some impact there. As to how much of an impact,
20 I can't really tell. I can't really know.

21 ANTHONY IMBESI: Would that impact be
22 in terms of their resources by way of personnel,
23 and also in respect of just the sheer amount of
24 space they had to perform this work in the MSF?

25 JOSEPH MARCONI: I think both. The

1 logistics of moving things around and making
2 sure that you maintain a certain beat rate;
3 parts are arriving on time; and then making sure
4 you have quality build before you move the
5 assembly on to the next station is important.
6 Because if you don't finish the work content
7 where you want to do all that work, then you
8 start chasing the module, or that component of
9 the vehicle, down the production line trying to
10 catch up. And all you're doing is disturbing
11 the work that normally goes on in that work
12 station.

13 So I'm sure they had a lot of that
14 going on where they had to move the line, the
15 work content in that line wasn't completed so
16 now they had to chase to get that done and that
17 just causes more disruption.

18 ANTHONY IMBESI: And what was your
19 view as to the suitability of the MSF as the
20 facility for the production, assembly and
21 performance of the retrofit and ultimately
22 maintenance work?

23 JOSEPH MARCONI: That's another thing
24 that for -- in my opinion was kind of strange on
25 this project, because I don't think I've ever

1 been involved in a project where a maintenance
2 facility started its life as a manufacturing
3 facility. To me they are two different entities
4 and they are designed -- they are not
5 necessarily designed in the same fashion.

6 And so I can understand the need to --
7 or the want to increase local employment and
8 create jobs for people in Ottawa, and things
9 like that, but, personally, I think having a
10 manufacturing facility that is technically a
11 maintenance facility is not the right thing to
12 do, for a couple of reasons.

13 One is, you have to do transfer of
14 technology, so you have to bring people in to
15 train new people on site on what to do.

16 And then you have transfer of
17 manufacturing, which is all the tools and
18 implementation of all those tools and how things
19 get set up in order to make a quality product.

20 So when you do that it sounds good and
21 feasible at the beginning, and generally it does
22 work out in the beginning, but what happens is
23 that people either leave or quit and then all of
24 a sudden you're left with a bunch of people that
25 don't really know the processes as well as they

1 should because all the people that trained them,
2 their mentors, are gone.

3 And so you get into this vicious
4 cycle, and I've seen it before because I was
5 with Bombardier and we did the same thing when
6 we transferred technology from Europe to Mexico.
7 We had to go back in three times to train people
8 on how to build our product because the quality
9 that was coming out just wasn't there.

10 To me it makes a lot of sense that if
11 you're building a rail vehicle, which is a very
12 hands-on, labour intensive job, it's not
13 automated as much as you would think, not as
14 much as the automotive industry is. You're
15 better off having a dedicated manufacturing or
16 assembly plant with qualified and trained
17 experts putting the product together, that's my
18 opinion.

19 FRASER HARLAND: Just to follow-up on
20 that, is the main issue then sort of the quality
21 of the personnel that you have in a plant like
22 this, or is it space, or are both of them
23 issues?

24 JOSEPH MARCONI: I think both of them
25 are issues. I mean, if you take a look at the

1 Brampton facility that they have right now it's
2 definitely bigger than the MSF. So they have a
3 larger footprint to do parts, to do proper
4 inspections and spread themselves out and put
5 this thing together. You're not crawling all
6 over the person next to you.

7 The MSF is quite a tight building, as
8 far as I'm concerned, and that's all basically
9 you need to maintain and run a system, not
10 necessarily manufacture a system --

11 FRASER HARLAND: So in hindsight, from
12 your perspective, if the Brampton facility could
13 have been up and running at the beginning of the
14 project and all trains constructed there, would
15 that have been a better way to do things?

16 JOSEPH MARCONI: I would say, yes. I
17 would stand behind that statement and say, yes.
18 If you have a dedicated manufacturing facility,
19 they would still have to do transfer of
20 manufacturing and transfer of technology, no
21 doubt, because the Brampton facility is brand
22 new in North America as well. It's not like
23 it's been there for 20 or 30 years, not like the
24 Bombardier plant, now the Alstom plant in
25 Thunder Bay that's been there for almost a

1 hundred years now.

2 You've got the Hornell plant that's
3 been there for 30 or 40 years in New York. So
4 you have these well-established areas or
5 communities that have very well established
6 manufacturing and assembly facilities where the
7 people around that area can be called upon when
8 a contract comes in, and basically it will be up
9 and running in a year or so. Because it usually
10 takes a year, a year and a half to get the
11 designs out and materials ordered and things
12 like that.

13 So you stand a better chance of
14 getting a better quality, meeting your
15 schedules, if you're producing in a facility
16 that has experience doing that.

17 And Brampton doesn't have that
18 experience yet so it's still on a learning
19 curve, but it's still yet to be seen how well
20 the Stage 2 vehicles are going to perform coming
21 out of Brampton because it's brand new too, but
22 they stand a better chance because that's all it
23 does.

24 ANTHONY IMBESI: And on the topic of
25 Brampton and Alstom's Brampton facility, was any

1 of the Stage 1 production, assembly or retrofit
2 work, undertaken at the Brampton facility or is
3 that entirely in respect of Stage 2?

4 JOSEPH MARCONI: The only thing I know
5 in terms of Stage 1 was the retrofits to the
6 APUs, all of the rest of the work was Stage 2
7 work.

8 ANTHONY IMBESI: And do you know why
9 that was done specifically in Brampton as
10 opposed to the MSF?

11 JOSEPH MARCONI: Probably space again,
12 and being able to -- whatever they're doing I
13 guess they don't want too many people, eyes and
14 ears watching what they're doing, right? So
15 it's probably easier to do it in seclusion
16 somewhere in Brampton rather than having others
17 seeing what they're doing in Ottawa. I would
18 speculate though.

19 ANTHONY IMBESI: And did moving that
20 component of the work to Brampton impact the
21 project in any way? Did this cause delays,
22 logistical issues, anything of that nature?

23 JOSEPH MARCONI: I don't think so. I
24 don't think it has. They have been able to
25 generally keep up with the APUs, APSs for the

1 Stage 1 vehicles when they fail. So I believe
2 they have sufficient spares in order to keep
3 them running.

4 For Stage 2 vehicles we do have some
5 vehicles that don't have any APUs on them
6 because Alstom have taken them for use on Stage
7 1. So we could have some vehicles right now
8 that they have technically robbed of APUs to
9 use. So far they have been keeping pace but
10 they have taken from Stage 2 in order to satisfy
11 Stage 1.

12 ANTHONY IMBESI: And after the
13 May 2018 RSA date was missed, and I appreciate
14 you came in after the fact, were you aware that
15 OLRTC was paying daily liquidated damages from
16 that first missed RSA date until the ultimate
17 revenue service date?

18 JOSEPH MARCONI: I don't remember that
19 at all, no. Sorry, I wasn't involved in the
20 commercial aspects of the project so I don't
21 recall that at all.

22 ANTHONY IMBESI: Was there significant
23 internal pressure within OLRTC to make it to
24 revenue service availability?

25 JOSEPH MARCONI: I would say we wanted

1 to get the job done, that's for sure. I would
2 say it was all-hands-on-deck. And pressure?
3 Well, I have been in situations similar to this
4 before where you're dealing with -- sometimes
5 you're dealing with difficult suppliers,
6 sometimes you're dealing with difficult
7 customers, so it's always a bit of a pressure
8 cooker when you're trying to deliver a complex
9 project.

10 I was involved in the vehicle aspect
11 of it but the rest of the OLRTC team had a lot
12 of other things on their shoulders as well
13 besides vehicles.

14 I was strictly focusing on vehicles
15 and my mandate was to get these things up and
16 running and ready and delivered as quickly and
17 as efficiently and safely and reliably as
18 possible.

19 ANTHONY IMBESI: So did any pressure
20 within OLRTC, did that have any impact on the
21 management of the interfacing or the progression
22 of the assembly and testing?

23 JOSEPH MARCONI: I mean, I don't think
24 so. I mean, it's not like people were demanding
25 that I have this done by Friday, or anything

1 like that. Things have to take certain time in
2 order to get done correctly and done properly.

3 So I -- you know, did I feel any
4 pressure from my management team? Not directly,
5 or not specifically. I think they are very
6 supportive and if I had an issue they would help
7 me out and vice versa. I would try to help out
8 if I could.

9 But globally I felt there was a lot of
10 pressure trying to get these trains and vehicles
11 and systems up and running. You would see the
12 stuff in the news media and see the stuff from
13 the City and whatever, so, yeah. From a global
14 perspective I know there was a lot of pressure
15 around. But personally the only pressure I felt
16 was I just have to get these vehicles to the
17 best -- the best they can be as quick as I can,
18 and work with the people I have and the
19 suppliers that I have in order to make that
20 possible.

21 ANTHONY IMBESI: And so from August of
22 2018 when you first became involved in the
23 project, was the biggest obstacle that was
24 remaining to meet RSA the vehicles themselves?

25 JOSEPH MARCONI: Well, I can't speak

1 on behalf of all the other systems because I
2 wasn't involved in any of them, just strictly
3 the vehicles.

4 So to say that the vehicle was the
5 critical path, so to speak, I can't really say.
6 I mean, it all had to come together. I mean,
7 the track work, the OCS, the buildings, the
8 vehicles, it's not just one single element that
9 can make the system run. Yeah, you have the
10 vehicles ready but if the rest of the stuff
11 isn't ready then you're not running. Or if the
12 rest of the stuff is ready and the vehicles
13 aren't ready you're not running.

14 So I really don't have a perspective
15 on everything else other than just what I could
16 see in my own little world here on the vehicle
17 side.

18 ANTHONY IMBESI: And is it fair to say
19 that the testing of the vehicles and the
20 signaling system, but in particular the
21 vehicles, was delayed and compressed overall?

22 JOSEPH MARCONI: I don't feel that it
23 was. I mean, I wasn't really involved in any of
24 the -- on Stage 1, I wasn't really involved in
25 the Thales testing, D PICO tests, because -- on

1 Stage 2 I was, I kind of took over that role.
2 But on Stage 1 most of the Thales testing, in
3 terms of the vehicle and in terms of the wayside
4 interfaces and things like that, that was all
5 generally handled by either Steve or by Matt
6 Slade.

7 So from the Alstom perspective, I
8 mean, when I got on board Alstom had already
9 completed -- I think there's 82 test procedures
10 that Alstom has in their -- what we call the
11 "Test Program Plan", there's 82 different tests.
12 And when I got on board I believed they had
13 completed almost 90 percent of those tests.

14 So, yeah, there were still probably
15 some issues left with some of those tests
16 because, as I mentioned earlier, there was still
17 CRIs, CREs discussions going back and forth
18 between us and the City and Alstom regarding the
19 results of those tests, asking for
20 clarifications. But with 90 percent or
21 92 percent of the tests -- vehicle tests from
22 the Alstom side already done when I got there, I
23 felt from a testing perspective that the vehicle
24 was in very good shape.

25 ANTHONY IMBESI: And so what would

1 your level of involvement have been in terms of
2 the testing and commissioning of the vehicle on
3 the system, whether in specific segments, the
4 testing and commissioning for the vehicles
5 running the full track, would you have had
6 involvement in that?

7 JOSEPH MARCONI: Yes, I would have, in
8 particular only certain tests. For example,
9 ride quality testing. I was also involved in
10 the noise test, the interior dynamic noise
11 tests. I was also involved in the high speed
12 data radio testing on the main line. This is
13 the rear-view camera system, which today we
14 still have issues that still need to be resolved
15 by Alstom. I was also involved in the EMC
16 testing, the full system EMC electromagnetic
17 interference testing. That wasn't an Alstom
18 test. That was done by a third party company
19 called Vican. So I was responsible for that.

20 And the last one I recall was the Bell
21 testing for the radio, for the P25 radio. This
22 was a radio that was supplied by the City to be
23 installed by Alstom. And the testing was under
24 the control and responsibility of the City and
25 Bell, but we supported that testing, OLRTC

1 supported that testing with Alstom because we
2 obviously did have some vehicle interfaces with
3 that radio.

4 So basically those five or six tests
5 were the one that I was involved in that
6 required either full or partial main line
7 access.

8 ANTHONY IMBESI: So you don't feel
9 that there was any less testing or commissioning
10 done than what was originally planned for?

11 JOSEPH MARCONI: Well, in some cases.
12 I'll give you an example, the ride quality test.
13 When I arrived in August of 2018, Alstom had
14 already conducted -- I was aware they conducted
15 the ride quality test in 2017. However, that
16 that was not accepted by OLRTC or the City
17 because the test procedure, the whole test
18 procedure said that the test had to be run on
19 the entire alignment. So here's Alstom trying
20 to say that, you know, this test is valid, it's
21 good, it's -- it should be accepted, but it
22 wasn't even tested on the entire alignment,
23 according to their own procedures.

24 So there was some arguments going
25 back-and-forth to getting Alstom to run the test

1 again. And then I believe in September of 2018,
2 like a month after I arrived, they ran the test
3 again. Because I think around that timeframe
4 that's when full track access was officially
5 granted so they ran the test again.

6 I wasn't there during the test because
7 I was travelling back-and-forth, and I think
8 they ran the test either on the weekend or at
9 nights so I wasn't available to participate.

10 But they ran the test. We thought
11 they had done everything correctly. But we get
12 the report and we find out, again, that they
13 only ran certain sections of the track, they
14 didn't run the entire alignment.

15 So here again they started arguing
16 with us about the track suitability. So again
17 we forced them to run the test again. And they
18 never ran the test next time until, I believe,
19 March of 2019. And at that time we agreed upon
20 a reduced instrument scope on the trains. And
21 they actually had to bring people in from
22 France, equipment and people in from France to
23 actually run the test in March.

24 So you could see some of the struggles
25 that we had, because on one end you get Alstom

1 saying, Hey, we think we have everything right.
2 But then they didn't follow their own procedures
3 and they kept arguing back-and-forth until they
4 finally agreed with us and ran the entire
5 alignment.

6 ANTHONY IMBESI: So with the reduced
7 instrument scope that you had mentioned, is that
8 an indication that Alstom couldn't meet the
9 requirements that they were supposed to meet
10 with respect to that test? Why would there be a
11 reduced instrument scope that was accepted by
12 OLRTC?

13 JOSEPH MARCONI: It was accepted by
14 OLRTC and the City, and the reason we accepted
15 the reduced scope of instrumentation is
16 because -- to instrument a train takes about
17 three or four days. So in order to cut back on
18 the duration for instrumenting the train we
19 decided on a reduced scope for where to place
20 the instruments.

21 And what we would do is when we ran
22 the test we asked Alstom to compare the results
23 of those signatures, of the areas that we did
24 instrument, with the results from the previous
25 tests.

1 So if, for example, the vibration
2 levels were in line with one another, we knew
3 that the other areas were also in line. And so
4 we only instrumented the areas where we felt
5 that were more severe or more problematic in
6 terms of the ride comfort of the vehicle, like
7 the operator seat, or, you know, the middle of
8 the car.

9 So in certain areas the vibrations are
10 technically a lot -- not higher but higher than
11 other areas from the vehicle due to the
12 stiffness of the vehicle. So that's why we
13 agreed upon a reduced instrumentation scope and
14 using the data from previous tests to validate
15 that that was the right decision to make.

16 ANTHONY IMBESI: And so I guess the
17 point of that was to save time, correct?

18 JOSEPH MARCONI: Correct. Save time
19 in terms of instrumentation and get out onto the
20 track and complete the entire alignment.

21 ANTHONY IMBESI: And so in terms of --
22 so that's -- it's fair to say then -- I mean
23 that's an example of some of the compression of
24 the testing?

25 JOSEPH MARCONI: Correct.

1 ANTHONY IMBESI: And so in terms of
2 that, and any other aspects of the testing that
3 may have been compressed in some manner, did the
4 level or progression of testing lead to any
5 concerns on your part about potential
6 implications into the reliability of the system?

7 JOSEPH MARCONI: No, not really. I
8 mean, we had certain testing protocols to
9 follow. Yes, tests like the ride quality we
10 kind of deviated from that a little bit as it
11 morphed into a different kind of criteria in
12 terms of test set-up. But there wasn't -- from
13 what I recall, at least the tests that I ran
14 with Alstom on the vehicle, there wasn't too
15 many that -- other than the ride quality I think
16 that kind of did that, right? Everything else
17 they basically followed the procedure and
18 executed a test and we obtained the result,
19 whether they failed or whether they passed.

20 ANTHONY IMBESI: So in your view then,
21 was the overall level of testing and
22 commissioning sufficient?

23 JOSEPH MARCONI: I believe it was. I
24 believe it was sufficient. And we're talking 82
25 separate tests just on the Alstom side so that's

1 a lot of testing. And that's generally type
2 testing or quality testing, not series testing,
3 that doesn't include the series testing that you
4 do on every vehicle. So I think the level of
5 testing was adequate. Fit for purpose.

6 ANTHONY IMBESI: Would you have wanted
7 more if you had the option of it?

8 JOSEPH MARCONI: I don't think so.
9 I've been involved in testing before, in the
10 test program plans that I've seen I think
11 generally all of the -- all of the major aspects
12 of a test program were captured in Alstom's test
13 program plan.

14 So I think it was -- I think it was
15 all there.

16 ANTHONY IMBESI: Was there any --

17 JOSEPH MARCONI: I can't speak too
18 much from the Thales side of things, but
19 definitely in the Alstom side I believe that,
20 you know, the level of testing was pretty good.

21 ANTHONY IMBESI: Right. So and when
22 you're talking about testing I appreciate you're
23 talking primarily about Alstom's testing of the
24 vehicles, but there would have been testing and
25 commissioning of the train running in

1 conjunction with the signaling system, correct?

2 JOSEPH MARCONI: Yes. But -- all
3 those tests -- those type of type tests were
4 with Steven and Matt as part of the integration
5 testing, Steve and Matt. Because Matt was kind
6 of handling all the Thales interfaces,
7 especially with wayside. And Steve was handling
8 a lot of the system integration testing either
9 with OCS or either with the stations themselves,
10 like vehicle clearance testing, all that, Steve
11 was doing -- Steve was doing those tests.

12 I was kind of left with the ride
13 quality, the noise testing, high speed data
14 radio testing, the EMC testing, the P25 testing.
15 So there's five or six tests that I recall that
16 I kind of stepped into. Steve didn't handle
17 those but all the rest were in Steve's test
18 program.

19 ANTHONY IMBESI: And that's Steve
20 Nadon and Matt Slade?

21 JOSEPH MARCONI: Correct.

22 ANTHONY IMBESI: And were those tests
23 being performed in conjunction with the tests
24 that you were doing? I'm trying to get an
25 appreciation of how and when these were

1 happening.

2 JOSEPH MARCONI: By the time I joined
3 until December of 2018, I believe he had some of
4 those tests -- like the ride quality, for
5 example, in 2018, when I was there, just one
6 month, I'm pretty sure that was being done in --
7 not necessarily in conjunction but, you know,
8 maybe Steve was running other tests on the other
9 track while Alstom was running the ride quality
10 on one track in September. So there could have
11 been some parallel activities happening during
12 that timeframe.

13 But, you know, once we started getting
14 into March in terms of the EMC testing, in terms
15 of the repeats of the ride quality testing,
16 high-speed data radio testing, for example, I
17 think those were kind of basically stand-alones.

18 And I think I was generally out there
19 with Alstom by myself doing those tests. And I
20 don't think there was any other -- Steve Nadon
21 tests happening in parallel, from what I recall.

22 ANTHONY IMBESI: And you may have
23 mentioned this but EMC testing, that refers to
24 what?

25 JOSEPH MARCONI: Electromagnetic --

1 EMI, electromagnetic interference. Basically
2 it's like cell phones and big electronic
3 equipment and power transformers along the
4 alignment, and even the overhead catenary wire
5 all give off electromagnetic waves.

6 ANTHONY IMBESI: To make sure nothing
7 interferes with --

8 JOSEPH MARCONI: Correct. So you have
9 all the systems running on the train and it's
10 stopping and going and you have to make sure
11 it's not affecting the operation or the running
12 of the vehicle. You have to make sure that
13 those frequencies are not conflicting with one
14 another.

15 ANTHONY IMBESI: Right. Okay. And
16 there was any plan in place for what I'll call
17 just "dry running", the system running fully
18 integrated prior to the trial running and
19 ultimate RSA just to test it and make sure it
20 runs appropriately and adequately?

21 JOSEPH MARCONI: I think there was
22 some dry running done, but I can't recall when
23 that took place. There could have been some
24 between the time that I joined and December of
25 2018, and there could have been some even before

1 the first submission of our first attempt at
2 substantial completion.

3 I'm sure there was some running
4 back-and-forth just so see -- you know, timing
5 for example, station dwell times and making
6 sure -- round trip travel times and things like
7 that. So I'm sure there was some level of dry
8 runs done then. Whether the vehicle stopped and
9 the doors open and closed, I'm not so sure.

10 ANTHONY IMBESI: So you wouldn't have
11 any insight as to whether what was done was
12 sufficient in terms of the length of that dry
13 running or the extent of it?

14 JOSEPH MARCONI: No, not in that
15 aspect. No. I don't recall.

16 ANTHONY IMBESI: And did you have any
17 view or any concerns as to OC Transpo's level of
18 readiness for service?

19 JOSEPH MARCONI: I don't really think
20 I have an opinion on that. We supply our
21 drivers, sometimes we had our own drivers for a
22 certain test. At that time the system wasn't
23 owned by the City so OLRTC had its own drivers
24 to drive the trains.

25 So I really can't say whether they

1 were ready or not because that wasn't really my
2 focus on the job.

3 ANTHONY IMBESI: Did you have any
4 involvement in trial running itself in -- I
5 believe it was in August of 2019?

6 JOSEPH MARCONI: No, I didn't. I was
7 aware that there was a procedure. I was aware
8 that there was a score card that was put
9 together within that procedure. I was verbally
10 told that I would not be required to support
11 trial running and I would be basically on an
12 on-call basis. So if something came up related
13 to the vehicles or related to Alstom, that if I
14 was needed then be prepared and stay close by
15 your phone, or whatever, and we'll call you if
16 we need you.

17 I do recall prior to leading up to
18 trial running, that I think I was putting
19 together like a staffing plan or whatever, like
20 the people that I had, like myself, JL was
21 working for me, I believe I had a guy by the
22 name of Dan working for me. Paul Gardner was
23 another one. I think there was Mark Turner who
24 was a consultant, he was also available. So I
25 put like a staffing plan together just in case

1 people needed one of us at a certain time during
2 this period, but -- and I submitted it, but
3 nobody ever called.

4 ANTHONY IMBESI: So you were never
5 required, you never called in to deal with
6 anything from trial running?

7 JOSEPH MARCONI: Not one thing.

8 ANTHONY IMBESI: What would you have
9 expected? What would be something that would
10 have led to your involvement?

11 JOSEPH MARCONI: Well, say for example
12 they had a condition where the vehicle didn't
13 brake in time, or it went past its stopping
14 point, or they had situations where doors failed
15 to open, or anything related to, say, a vehicle
16 failure that would generally probably cause a
17 service interruption. Just like we do for the
18 conditioning of the Stage 2 vehicles, where if
19 there's a failure that causes a system -- the
20 vehicle failure that causes disruption of
21 greater than five minutes, then I figured I
22 might be called in to help diagnose or
23 troubleshoot, or at least work with the
24 supplier, Alstom, to determine the root cause.

25 ANTHONY IMBESI: So is it a fair

1 characterization then to say that if there was
2 an LRV performance failure during trial running,
3 that would be something that you would be
4 expected to be called upon to address?

5 JOSEPH MARCONI: Exactly. If there
6 was a failure that nobody understood or nobody
7 knew what the cause, the root cause of that
8 failure was then I would call -- if they knew
9 what the failure was or what caused it, if it
10 was operator error while they were doing the
11 trial running, or something like that, and that
12 generated a failure, they wouldn't call me for
13 something like that.

14 So if they knew what the root cause
15 was and they fixed it and away they went they
16 wouldn't call me, but if it was something that
17 they couldn't figure out or they needed someone
18 to dig a little bit deeper into it with Alstom,
19 then I would expect they would have called me.

20 ANTHONY IMBESI: And were any failures
21 or issues, or anything arising during trial
22 running, communicated to you at any point? I
23 appreciate you weren't called upon, but were you
24 informed of the goings on of the trial running?

25 JOSEPH MARCONI: No. Once I heard

1 trial running had started then I heard it was
2 done and we were on to the next phase. So, no,
3 I never got any emails or any communications,
4 any phone calls related to the happenings of
5 trial running.

6 ANTHONY IMBESI: So you wouldn't be
7 aware then that the requirements that had to be
8 met to pass trial running were changed midway
9 through trial running?

10 JOSEPH MARCONI: No, sir.

11 ANTHONY IMBESI: And so you wouldn't
12 be aware of any maintenance failures on the part
13 of Alstom in the score keeping?

14 JOSEPH MARCONI: No, sir. Not that I
15 recall.

16 ANTHONY IMBESI: So just turning -- I
17 appreciate we are approaching the end here. We
18 just spoke about trial running, so following
19 that obviously it was revenue service
20 availability and operations commenced on the
21 system?

22 JOSEPH MARCONI: Yes.

23 ANTHONY IMBESI: So how was the
24 handover handled as it related to the LRVs, in
25 terms -- from OLRTC to RTM? Was there a

1 procedure in place? Was information provided?
2 How was that -- how did that work in practice?

3 JOSEPH MARCONI: I probably have to
4 step back a little bit because it all starts
5 with the final inspection process. So we went
6 through the final inspections of all those 34
7 vehicles between January and end of February,
8 early March, created our punch lists, those
9 punch lists went into the car history book.
10 Those punch lists were actioned upon by Alstom
11 and car history books were updated accordingly.

12 So at the end of the day what we
13 delivered -- what we delivered to the City is we
14 delivered two car history books.

15 We delivered the Alstom car history
16 book that contained our punch list, it contained
17 the vehicle configuration, it also contained any
18 open modifications that still needed to be done
19 to the vehicle that were not safety or
20 performance related. It contained some
21 inspection reports, like for vehicle leveling
22 weight reports, how much the vehicle weighed,
23 car body tolerance reports. So the binder is
24 quite thick.

25 That binder got into the hands -- we

1 ultimately delivered that to RTM, they are the
2 keepers of the hard binder. And the electronic
3 versions are delivered to RTG through to the
4 City.

5 So basically once all that was done
6 then -- that's for Alstom as well as Thales,
7 because Thales also has a car history book that
8 was prepared and delivered.

9 Once all that was done, within the car
10 history book I would sign the final acceptance
11 certificate and date it. That was part of the
12 car history book from OLRT's perspective. And
13 then once trial running was all done the next
14 step was to generate the bill of sales for all
15 these 34 vehicles, so that the possession or the
16 ownership of the vehicles could go from
17 Alstom/OLRTC to the City.

18 ANTHONY IMBESI: And so was there
19 anything that you felt was missing from that
20 handover process that would have ensured a
21 smoother transition?

22 JOSEPH MARCONI: From the vehicle
23 perspective I don't believe so. I mean, I put
24 the final acceptance procedure together myself.
25 That was reviewed internally as well as with the

1 City and with Alstom.

2 So we went through all the steps in
3 terms of the delivering and all the commitments
4 within that procedure.

5 And so car history books were
6 delivered, safety certificates were available,
7 all inspection punch lists were up-to-date, all
8 the testing was done, all the reports had been
9 submitted, and anything else that was still left
10 open that needed resolution was part of the MDL.

11 ANTHONY IMBESI: So in terms of the
12 minor deficiency list, and we had spoken about
13 this earlier, but did you feel that RTM
14 inherited a system that required greater
15 maintenance than was originally anticipated?

16 JOSEPH MARCONI: I don't know how to
17 answer that question. Level of maintenance is
18 originally anticipated. So, I mean, I think
19 hindsight being 20/20, I felt -- after the cars
20 went to revenue service, in the first couple of
21 weeks everything seemed great, everything was
22 working good. And then all of a sudden failures
23 started to happen and things started to spiral a
24 bit out of control.

25 You know, after I think it was

1 October, November, things started happening. So
2 obviously when that happens the -- there's
3 definitely going to be an impact towards
4 maintenance activities.

5 So I don't think anybody could have
6 predicted one way or the other how that was
7 going to -- how that was going to transition. I
8 mean, everything started off good, everything
9 went well. We had our -- you know, our first
10 couple of weeks and excellent run, the vehicles
11 were available. And then all of a sudden things
12 started to go off track a little bit.

13 So, yeah, I think, you know, hindsight
14 being 20/20, definitely that would have an
15 impact on maintenance.

16 ANTHONY IMBESI: These issues arising?

17 JOSEPH MARCONI: Yes. But nobody
18 could have predicted that.

19 ANTHONY IMBESI: Right. And do you
20 have any insight into these issues that occurred
21 following revenue service, you mentioned a few
22 towards the end of the year. I know there are
23 quite a number of them, obviously the most
24 significant being the two derailments. There
25 was a flat wheel issue, the cracked wheel issue

1 and some of the earlier issues as well. Do you
2 have any insight into any of that?

3 JOSEPH MARCONI: Well, the cracked --
4 all these issues that have arisen, yeah, I was
5 made aware of them. Was I involved in them in
6 terms of providing any technical inputs or
7 recommendations or positions on that? The
8 answer is no. I was aware of the situations but
9 all those items were -- you know, they are
10 handled above my level.

11 As far as I'm concerned, even on the
12 derailments, I don't think anybody in OLRTC was
13 invited to any of those derailments or even any
14 of the meetings that were held say between RTM
15 and Alstom and even the Transportation Safety
16 Board. I don't think there was any OLRTC people
17 there, as far as I'm aware. I wasn't there and
18 I don't know if anybody from OLRTC was either.

19 ANTHONY IMBESI: So you personally had
20 no involvement in relation to any of these
21 issues that occurred with the system?

22 JOSEPH MARCONI: Nope. Not on the
23 derailments and not on the wheel cracks.
24 Obviously down the road, for example, wheel
25 cracks became like an open item on our punch

1 list or Stage 2. Obviously we have to make
2 sure -- because the vehicles on Stage 2 had the
3 same wheels as Stage 1, so we had to become
4 aware of what the root causes were so that we
5 could make sure that Alstom was taking action in
6 the delivery of the new vehicles to prevent that
7 from happening again.

8 So from that aspect, yes, in terms of
9 making sure that we didn't repeat the -- those
10 problems. But you know, how it was handled, how
11 it was dealt with, how it was resolved and all
12 the investigative work, I wasn't involved in any
13 of that.

14 ANTHONY IMBESI: And so you mentioned
15 the implementing some knowledge from the cracked
16 wheel issue into the Stage 2 vehicle delivery,
17 is there anything that was imported from any of
18 the other issues into the Stage 2 delivery.

19 JOSEPH MARCONI: I'm sure there was,
20 my mind just seems to be wandering now.
21 Definitely there was, but I would have to take a
22 look at the list -- the punch list myself and I
23 could pull out items that happened on Stage 1
24 that we have to make sure that we don't step on
25 those nails on Stage 2. So, yes, there are

1 examples but I can't think of any off the top of
2 my head right now.

3 ANTHONY IMBESI: Okay. And was there
4 any discussion to a soft start to the opening of
5 the system whether that be reduced service, any
6 kind of modification that would allow a ramp up
7 of operations?

8 JOSEPH MARCONI: Not directly with me,
9 but, again, hindsight being 20/20 it would have
10 probably been a good idea to do some sort of
11 soft start and maybe not pull all of the City
12 buses out of service as soon as you have 30 or
13 34 vehicles on the main line.

14 I mean, obviously somebody had a lot
15 of confidence in that and maybe a soft start
16 would have been the way to go. But it's like
17 hindsight is 20/20, so to speak.

18 ANTHONY IMBESI: Right. and so you
19 mentioned no discussion with you but were you
20 aware of any discussion about a soft start
21 during your time prior to revenue service?

22 JOSEPH MARCONI: No, not with me.
23 There may have been discussion but I wasn't
24 involved in those discussions.

25 ANTHONY IMBESI: Okay. And not aware

1 of those discussion having taken place?

2 JOSEPH MARCONI: I don't recall. I
3 don't recall those discussion.

4 ANTHONY IMBESI: But in hindsight that
5 would have been something that you would
6 advocate for?

7 JOSEPH MARCONI: Oh, definitely. It's
8 a Greenfield, brand new system all around, brand
9 new vehicles. It makes a lot of sense. It's
10 different when you're delivering like one
11 vehicle at a time, or two vehicles at a time to
12 an already established transit authority where
13 they -- the track works and the civil works and
14 there's stations and their main facility is all
15 up and running.

16 Even in some of those case, like for
17 example, New York City Transit, when you deliver
18 brand new vehicles to the New York City Transit
19 for the first time, they go into a 30 day test.
20 So, you know, they have 30 days of basically
21 trial running that vehicle instead of 12. Some
22 authorities are six months to a year, depending
23 on the complexity of the system. I think the
24 new high speed rail that Alstom is building for
25 Avelia, Acela, I think a year's worth of work.

1 It's fairly complex so I can understand why.

2 So when you're doing a system like
3 that, you know, maybe you can go shorter, maybe
4 you can go longer. Some people -- some
5 authorities have different requirements. But
6 hindsight being 20/20, like I said, I think a
7 soft start or a gradual introduction of trains
8 and building up the fleet to a certain level
9 before going to the next step makes sense.

10 ANTHONY IMBESI: So did you have any
11 view then as to whether the 12 day trial running
12 was an adequate length of time?

13 JOSEPH MARCONI: That's what the
14 contract required, from my understanding. So I
15 may have views, but if the piece of paper that
16 you're signing, your contract, says that's what
17 you shall do then that's what you shall do.

18 ANTHONY IMBESI: I appreciate that.
19 But in your experience, given what you have
20 said, do I take it that you would have liked to
21 have seen a longer period of time?

22 JOSEPH MARCONI: Yeah. Especially,
23 you know, you think about the vehicles running
24 for 30,000 -- some of those vehicles have run
25 well over 30,000 kilometres, but did they really

1 run as a system? You know, they're out there
2 running, they're doing their certain tests and
3 coming back in. You know, maybe they're
4 shuttling between two different stations and
5 doing all sorts of things to accumulate 30,000
6 kilometres. So from a system perspective, I'm
7 putting my system's hat on now, you would
8 probably want to -- probably might want to run
9 more than 12 days to see if everything is
10 working right, if you have maintenance working
11 right.

12 If you've got -- if the trains come
13 in, your whole work order system, is that
14 working correctly? Or are people doing what
15 they need to be doing? Are the operators
16 showing up on time to launch the trains? All
17 these sorts of things. I mean, is 12 days
18 really sufficient to prove all that? Personally
19 I don't think it is, but that's the way it was
20 done.

21 ANTHONY IMBESI: And in terms of the
22 length of trial running and also in the context
23 of discussions about a soft start, does the
24 level of experience of the operator inform the
25 length of time that you feel that should occupy.

1 For example, if it's a new operator with the
2 City of Ottawa, would that require a longer
3 period of time for trial running or a longer
4 soft start or more significant soft start than
5 an experienced operator?

6 JOSEPH MARCONI: I don't know, I think
7 so. Yeah, if it's a brand new operator they --
8 you know, they got new people that never
9 experienced that before, or maybe they have
10 people they haven't even hired yet to handle
11 certain situations.

12 So I would say more than likely, yes.
13 But you know, it's hard for me to speak on
14 behalf of OC Transpo or the City as to what they
15 consider sufficient or not sufficient. I mean,
16 from the outside looking in sometimes longer is
17 better, sometimes, you know, you just want to
18 get going and gain from the experience that you
19 get back. So it's a tough call. Sometimes it's
20 not an easy situation.

21 ANTHONY IMBESI: And so those are all
22 the questions that I had, my colleague
23 Mr. Harland may have a few additional ones. But
24 before I turn it over to him, is there anything
25 else that we haven't touched on that you think

1 we should know?

2 JOSEPH MARCONI: No. I think I've
3 said enough. My mouth is kind of dry. Thank
4 you.

5 FRASER HARLAND: I know we're nearly
6 out of time, I think the only thing I wanted to
7 follow-up on is we touched on a number of the
8 train issues, but I don't think we spoke
9 specifically about wheel flats. Do you know
10 anything about the wheel flat issue that the
11 trains experiences? What is your experience
12 with that?

13 JOSEPH MARCONI: Yeah. You know, we
14 were experiencing those even during testing and
15 during running. Not necessarily trial running
16 but prior to trial running we were experiencing
17 some wheel flats. And I kind of attribute that
18 to adhesion issues between the rail and the
19 wheel, so obviously sliding conditions.

20 And there could have been situations
21 there were -- like I talked earlier that the
22 fine tuning between Alstom's system and Thales'
23 system in terms of train control being not
24 finalized yet. They were still -- software was
25 still being released and changes were still

1 being made to fine tune the system. So there
2 could be those situations there that could have
3 caused some of those flats. So I was aware of
4 the situation and the root causes behind them,
5 but those are some of the things you experience
6 when you start-up a brand new system like this.

7 FRASER HARLAND: And the root causes
8 there, is that related to the sliding? Or what
9 are the root causes that you were aware of?

10 JOSEPH MARCONI: Well, I mean you
11 know, the reaction times, I mean there could
12 have been a number of things. It could be
13 reaction times. It could be Thales and Alstom
14 interfaces that needed to be fine tuned in some
15 respects. There could be wheel flats caused by
16 defective equipment. I know we had some brake
17 caliper issues, some HPU issues.

18 So if you had defects in equipment, on
19 the brake equipment on Alstom side, those could
20 cause wheel flats. And then you had conditions
21 where you have brand new rail with brand new
22 wheels, you're out on a system that maybe you
23 had a lot of moisture on during the winter time,
24 and you have ice on the rails and that may not
25 have been cleaned up properly, and all those

1 lead to adhesion issues.

2 I think there was some issues with
3 sanding. I think at one time, if I recall
4 correctly the wrong sand was being used on
5 the -- on the sanding system. So you would get
6 some spin issues there that could cause some
7 wheel flats in terms of not getting enough
8 adhesion during acceleration. So there is a
9 number of issues out there that did cause these
10 wheel flat problems.

11 FRASER HARLAND: And are you aware of
12 anything on the operator side in terms of
13 choosing between different braking levels or
14 profiles that would contribute to or help to
15 avoid wheel flats?

16 JOSEPH MARCONI: Yes, I'm aware of
17 that. I think there are different braking
18 levels within the Thales system. You know,
19 depending upon the environmental conditions, the
20 temperature, snow or rain or whatever, you can
21 go to a less aggressive braking rate, which
22 technically puts less pressure on the calipers
23 and would generate less potential for wheel
24 flats. So, yes, I'm aware that the technology
25 is there to help the operator make those

1 selections, depending upon the conditions that
2 the vehicle is faced with during operation.

3 FRASER HARLAND: In light of the time,
4 those are my questions.

5 --- Completed at 12:10 p.m.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 REPORTER'S CERTIFICATE

2
3 I, HELEN MARTINEAU, CSR, Certified
4 Shorthand Reporter, certify;

5 That the foregoing proceedings were
6 taken before me at the time and date therein set
7 forth;

8 That the statements of the presenters
9 and all comments made at the time of the meeting
10 were recorded stenographically by me;

11 That the foregoing is a certified
12 transcript of my shorthand notes so taken.

13
14 Dated this 10th day of May, 2022.

15
16 

17
18 PER: HELEN MARTINEAU

19 CERTIFIED SHORTHAND REPORTER
20
21
22
23
24
25

WORD INDEX

< 1 >

1 3:3 6:9, 16
10:7, 11, 19
11:2, 3, 9 17:16,
21 18:18, 25
20:6 24:4, 14
26:10 29:18
55:9 68:5, 9, 15
69:6, 14 75:24
80:4 87:14, 23
89:8 92:24
93:6, 17 99:1, 5
100:1, 7, 11
103:24 104:2
125:3, 23
1,000 18:15
10 1:9 36:10,
13 48:2
10:28 71:22
10:45 71:23
100 9:7
10th 1:16
135:14
11 3:3 36:10
11:02 85:22
11:05 85:23
12 127:21
128:11 129:9, 17
12:10 1:17
134:5
120 30:2
15 48:2
1500 18:9
15-minute 71:21

< 2 >

2 6:22 10:5, 20
16:21 17:14
18:13, 22 19:5
29:16 55:10
67:5 68:7, 8, 12,
19 69:14, 15
70:16 79:3
80:6 87:10, 12,
13, 15, 21, 25
88:4, 6 89:3, 16,
18 92:15, 16, 18,
20 93:4, 15
98:20 99:3, 6
100:4, 10 104:1
117:18 125:1, 2,
16, 18, 25

2,000 18:9

20 97:23
20/20 70:9

122:19 123:14
126:9, 17 128:6

2008 45:4, 8

2013 51:22

2017 106:15

2018 6:11

20:16 21:4, 5

36:1, 10 54:6

56:4, 9 58:8

100:13 102:22

106:13 107:1

113:3, 5 114:25

2019 10:1 18:4

23:8 53:10

87:6 107:19

116:5

2020 34:1

2021 15:19

2022 1:9, 17

135:14

26 30:3

2700 27:7

28 21:19 22:4

< 3 >

30 90:8, 10
97:23 98:3

126:12 127:19,
20

30,000 18:5
33:23 128:24,

25 129:5

302 28:6

32 8:13

3200 23:15 27:6

33(6) 5:15

33(7) 6:3

34 21:20 24:14,
17 28:2, 3

36:13 87:22

120:6 121:15

126:13

35 87:11 89:14

36 87:11 89:14

37 89:16

38 89:17 92:19

< 4 >

40 64:10 98:3

480 30:1

< 5 >

5 6:5

50 64:10

< 6 >

6 19:25 27:8, 12

60 64:10

65 28:19

66 28:19

< 7 >

700 19:25 27:8,
12, 25

< 8 >

8 14:22 87:10,
16, 25 88:18

89:4, 6, 10

82 104:9, 11

110:24

< 9 >

9 14:22

9:00 1:17

9:01 4:1

90 104:13, 20

92 104:21

< A >

a.m 1:17 4:1
71:22, 23 85:22,
23

ABB 78:23, 24
79:4

ability 91:22

93:5

abrupt 64:18

AC 30:2

Acceleration
64:8, 12 133:8

acceptance
6:16, 19, 24, 25

10:23 21:22

22:11, 12 66:21

67:12, 25 68:2,
4, 14, 19 69:5

70:12, 20, 25

71:6, 8, 9, 16, 25

72:1, 15 86:17

121:10, 24

accepted 17:22

21:18, 19 22:5

23:4 24:11

83:20 106:16,

21 108:11, 13, 14

access 32:25

49:9 106:7

107:4

accessible 50:1

accumulate

129:5

accurately 46:22

Acela 127:25

achieved 9:25

18:25 21:11

Act 5:16 6:3, 6

acting 10:15

action 125:5

actioned 10:10

120:10

activate 83:1

activated 82:7

activities 16:8

113:11 123:4

activity 56:3

actual 62:21

66:4

added 70:21

82:14

Additel 44:15

addition 24:18

76:1 92:25

additional 22:20

42:21, 23 93:16

130:23

additionally 58:2

address 15:23

25:5 77:13

118:4

addressed 61:10

adequate 111:5

128:12

adequately

114:20

Adetel 44:2

77:23 79:10

adhesion

131:18 133:1, 8

adjacent 81:22

advantageous

18:14

advised 6:4

advocate 127:6

aerodynamics

34:21

affect 12:24

AFFIRMED 4:2

after 5:3 15:25

22:11 26:6

37:20 52:18

53:15 55:7

58:9 64:1

82:19 83:20, 21

84:9 85:7 90:7

100:12, 14

107:2 122:19, 25

aggressive 28:8

133:21

agreed 107:19

108:4 109:13

Agreement

40:17 51:6

air 67:20

Alexander 90:3

aligned 53:11

alignment 50:15,

18 74:13

106:19, 22

107:14 108:5

109:20 114:4

all-hands-on-

deck 101:2

allow 126:6

allowed 12:8

17:10 82:9, 22

Alstom 9:19

10:8, 16 12:20

14:5, 11 17:24

20:12, 22 21:16,

23 22:9 23:9,

18 24:22 25:24

26:5 27:7

28:18 29:8, 10

30:22 31:7, 10,

14, 23 32:1, 5

34:4 35:7

37:17, 20 38:19

39:13 40:21

41:8, 9, 18, 22

42:23 43:3, 21

44:20, 22, 25

45:2 52:10

53:11, 16 54:11,

12, 16 55:13

57:22 58:1, 12

61:15 65:21

66:2 67:16, 24

71:3 72:2 74:3,

17 75:16, 18

77:18, 21, 24

78:21 79:5

80:22 82:5

84:24 85:9, 14,

16 86:5 87:12,

17 89:22 90:2,

5, 13, 15, 20 91:21 92:16 97:24 100:6 104:7, 8, 10, 18, 22 105:15, 17, 23 106:1, 13, 19, 25 107:25 108:8, 22 110:14, 25 111:19 113:9, 19 116:13 117:24 118:18 119:13 120:10, 15 121:6 122:1 124:15 125:5 127:24 132:13, 19 Alstom/OLRTC 121:17 Alstom's 32:21 33:7 40:19 41:6 51:20 57:13 60:1 70:20 78:12 93:4 98:25 111:12, 23 131:22 America 45:20 97:22 amount 18:17 93:23 analysis 84:11 anomalies 35:12 Anthony 2:2 4:3, 9 7:2, 7, 10, 13 8:18 9:8, 24 10:25 11:5 12:10 13:2, 10, 16, 20 15:15 16:2 17:11 18:20 20:5, 10 21:2 23:19 25:10 26:12 27:11 28:14, 21 29:21 30:9, 17 31:4, 9, 13 32:9 33:1, 14 34:9 35:25 36:23 37:3 38:5 39:9 40:8 42:2, 10 43:1, 5 44:11, 18, 23 45:13, 22 46:9, 19 47:9 48:8 49:22 51:16 52:1	53:9 54:14 55:1, 18 56:12 57:1, 24 58:19 59:16 60:13 61:7, 24 62:4, 7, 20 63:17 64:20 65:1, 6, 14 66:1, 8, 12, 17, 20 67:13 68:1, 17 69:16 70:4 71:7, 11, 19 72:21 73:10, 21 74:25 76:1, 20 77:2, 6, 11 78:7 79:12, 23 80:8, 23 81:2, 25 83:9, 25 84:22 85:24 86:22 87:24 89:5, 10, 20 90:15 91:15 92:14, 22 93:3, 21 94:18 98:24 99:8, 19 100:12, 22 101:19 102:21 103:18 104:25 106:8 108:6 109:16, 21 110:1, 20 111:6, 16, 21 112:19, 22 113:22 114:6, 15 115:10, 16 116:3 117:4, 8, 25 118:20 119:6, 11, 16, 23 121:18 122:11 123:16, 19 124:19 125:14 126:3, 18, 25 127:4 128:10, 18 129:21 130:21 anticipated 122:15, 18 anybody 123:5 124:12, 18 anyway 70:12 anyways 70:14 apart 12:11 appear 76:24 appears 80:17 appended 5:14 application 48:6, 10 51:15 76:13 applied 81:18	apply 19:20, 22 64:1 75:9 appreciate 33:1 35:25 39:9 51:16 65:16 100:13 111:22 118:23 119:17 128:18 appreciation 43:18 112:25 approaching 119:17 appropriate 84:9 appropriately 81:18 114:20 approval 14:16 approved 12:2 14:13, 15 16:19 25:15 April 51:22 APS 77:3, 7 APs 99:25 APU 43:24 44:2, 5, 11 59:24 77:5, 6, 7 APUs 79:4 99:6, 25 100:5, 8 arc 81:4 arced 81:21 architecture 14:21 35:2, 3 52:23 arcing 30:10, 13 81:23 arcs 81:11 area 10:12 98:7 areas 10:18 98:4 108:23 109:3, 4, 9, 11 arguing 107:15 108:3 arguments 106:24 arisen 124:4 arising 61:9 118:21 123:16 arrival 36:6 57:2 arrive 53:10, 14 arrived 21:9 36:10 53:15 55:19 56:9 106:13 107:2 arrives 83:3	arriving 94:3 article 60:25 aside 36:25 54:14 asked 5:18 27:22 108:22 asking 104:19 aspect 101:10 115:15 125:8 aspects 54:24, 25 100:20 110:2 111:11 assemble 52:18 assembled 87:8 assembly 10:5 55:20 57:3 58:24 61:6 72:22 82:13 86:25 88:1 92:24 94:5, 20 96:16 98:6 99:1 101:22 assess 40:13 assistance 69:17 assume 17:15 93:18 assurance 8:10 24:3 ATC 36:14 ATO 36:11 49:18 ATS 41:2 attempt 40:1 44:16 115:1 attend 68:11 attendance 67:24 attending 1:16 attention 20:22 attraction 49:24 attribute 131:17 August 6:11 10:1 18:4 20:16 21:1, 5, 12 53:10 56:21 87:3 102:21 106:13 116:5 authorities 127:22 128:5 authority 127:12 automated 96:13 automatic 22:16, 20, 22 36:21	38:23 41:1 45:2, 10 automobile 25:2 automotive 96:14 auxiliary 29:7, 9, 15, 21, 23 44:12 77:3 availability 6:21 9:25 32:12 100:24 119:20 available 52:13 53:7 90:9 107:9 116:24 122:6 123:11 Avelia 127:25 average 23:13, 24 24:1 avoid 133:15 AW3 88:9 aware 12:9 26:2 41:3 51:25 53:3 70:23 72:22 100:14 106:14 116:7 119:7, 12 124:5, 8, 17 125:4 126:20, 25 132:3, 9 133:11, 16, 24 < B > back 15:9 18:4 26:5 34:5 43:11 45:5 52:8 54:2, 3, 11 84:10 85:14 89:4 91:11 96:7 104:17 108:17 120:4 129:3 130:19 back-and-forth 60:23 91:14 106:25 107:7 108:3 115:4 backfired 44:17 background 7:15 12:20 bad 53:13 bags 88:8 balances 83:22 barriers 69:13 basically 6:15, 23 8:12 10:20 13:22 20:23
---	--	--	---	---

24:15, 17 30:5 42:18 47:24 56:21 58:16 59:23 62:12 67:17 81:15 82:8 86:15 88:11 97:8 98:8 106:4 110:17 113:17 114:1 116:11 121:5 127:20 basis 5:7 57:13 74:3 89:25 90:4 116:12 Bay 97:25 beat 94:2 beautiful 50:22 began 26:9 beginning 95:21, 22 97:13 behalf 103:1 130:14 Beijing 45:3, 4, 9 believe 8:22 9:5, 6 13:6, 8, 14 22:7 23:7 27:5 30:14 34:13 42:24 45:17, 18, 19 53:12 54:12, 19, 21 55:8, 23 61:18 76:15 78:10 79:6 80:25 81:8, 14 82:12 89:9, 25 90:5 100:1 107:1, 18 110:23, 24 111:19 113:3 116:5, 21 121:23 believed 104:12 bell 67:8 72:3 105:20, 25 benefit 68:17 69:7 70:16 Benjamin 2:13 Bergeron 6:14 39:11 best 56:24 102:17 Betrand 90:2 better 19:8, 9 34:6 35:24 59:25 69:20	96:15 97:15 98:13, 14, 22 130:17 big 50:13 54:5 114:2 bigger 97:2 biggest 102:23 Bilgen 2:13 bill 6:25 10:24 121:14 binder 120:23, 25 121:2 bit 9:10 10:7 15:17 23:20 24:1 25:3 32:13 41:9, 17 43:9 55:10 72:10 73:22 80:18 91:5 92:10, 15 101:7 110:10 118:18 120:4 122:24 123:12 blowing 29:9 board 9:14 10:14, 15 11:6, 11, 17, 21, 22, 25 12:21 13:1, 3, 5, 6, 7, 8, 13, 19 14:3, 9, 16 15:14, 16, 22 20:16 21:5, 14 31:2 37:24 40:21 42:16 47:14 49:13 50:4 55:25 56:5 70:25 87:3 104:8, 12 124:16 body 120:23 bogie 76:7 bogies 75:8 bomb 78:11 79:14 Bombardier 7:21 24:3 34:15 45:1, 6 50:7 96:5 97:24 book 23:12 120:9, 16 121:7, 10, 12 books 120:11, 14 122:5 Bouteloup 90:2 brains 52:21	brake 64:6, 7 74:6 76:3, 6, 8, 9, 10, 19, 21 91:9 117:13 132:16, 19 brakes 64:2, 4, 14, 15 75:9 braking 17:4 38:16 44:7 63:23 64:18 75:8 85:12 88:12, 13 133:13, 17, 21 Brampton 77:25 78:6 97:1, 12, 21 98:17, 21, 25 99:2, 9, 16, 20 brand 24:19, 25 25:2, 7 54:1 97:21 98:21 127:8, 18 130:7 132:6, 21 break 16:12 25:19 71:21 breakdowns 15:18, 21 brief 62:7 bring 88:3 89:3 95:14 107:21 broke 69:13 brought 91:7 build 14:22 94:4 96:8 building 53:6 55:13 74:23 92:7 96:11 97:7 127:24 128:8 buildings 103:7 built 45:1 bulb 84:18, 19, 21 bunch 95:24 burn-in 17:6, 19 18:15, 23 19:11, 14, 24 buses 126:12 business 7:20 buy 25:2 < C > cab 25:18, 19 26:10 67:22 74:5 cabs 67:4	caliper 76:7, 9, 21 132:17 calipers 76:3, 8, 15, 16, 17 133:22 call 23:11 31:14 41:2 43:10, 19 52:6 61:13 75:16 77:7, 9 104:10 114:16 116:15 118:8, 12, 16 130:19 called 98:7 105:19 117:3, 5, 22 118:4, 19, 23 calls 119:4 camera 105:13 campaign 77:12 Canada 6:6 Canadian 71:3 capabilities 62:24 capability 49:18 62:17 63:4 capable 49:19, 20 51:10 capacity 31:13 captured 111:12 car 23:12 25:1 48:15, 25 49:4 76:9 109:8 120:9, 11, 14, 15, 23 121:7, 9, 12 122:5 card 116:8 career 7:25 8:14, 15 careful 39:6 carried 70:11 80:5 87:5 carry 51:8 89:2 cars 87:7, 18 122:19 case 24:10 116:25 127:16 cases 19:22 67:19 81:10, 16 82:11 85:3, 7, 8 106:11 catch 68:23 94:10 catenary 80:12 114:4 catwalks 49:7 caught 68:25	caused 19:23 81:3, 10 118:9 132:3, 15 CBTC 22:16 38:24 45:14, 23 51:21 52:5 CCB 11:22 ceiling 14:5, 6, 10 cell 77:24 114:2 centre 48:13, 17 cert 71:2 certain 4:18 15:7 16:14 17:2 20:13 35:11, 12, 19 39:16, 20 42:12 51:6 63:25 64:2, 9, 11 67:5, 10, 23 82:24 86:1 94:2 102:1 105:8 107:13 109:9 110:8 115:22 117:1 128:8 129:2 130:11 certificate 21:22 121:11 135:1 certificates 72:2, 11, 16 122:6 Certified 135:3, 11, 19 certify 135:4 challenge 34:23 56:21 challenges 32:10 45:24 46:1, 10, 15 47:7 87:17 challenging 32:20, 24 46:4 47:11 chamber 62:14 63:2 chance 98:13, 22 change 8:11 10:2, 13 11:6, 11, 13, 15, 16, 17, 18, 19, 20, 21, 22, 25 12:2, 15, 21 13:1, 24 14:3, 4, 9, 15, 21, 22, 24 15:14, 16, 22 41:20
--	--	--	---	---

changed 41:14
119:8
changes 10:17
12:6, 8, 19, 20,
24 14:2, 19, 24
15:13 19:7
37:15 75:24
131:25
changing 74:8
channel 14:13
characteristics
34:20 38:12
48:9
characterization
118:1
characterize
38:7 75:4
chase 94:16
chasing 94:8
check 66:18
checks 67:23
83:22
China 44:25
45:7
Chinese 45:1, 7
choice 47:19
59:25
choosing 133:13
chosen 51:2
Chowdhury 2:7
circle 92:11
circuitry 83:7
circumstance
86:1
circumstances
85:1
Citadis 43:2, 13,
20, 25
City 11:24
13:22 14:10, 11
16:20 23:4, 9
26:1 41:3, 19
45:9 60:21
61:15, 16 68:3,
10, 13, 16, 18
69:2, 6 70:5
71:12 77:19
102:13 104:18
105:22, 24
106:16 108:14
115:23 120:13
121:4, 17 122:1
126:11 127:17,
18 130:2, 14

City's 61:15
69:17
civil 5:21 9:16
127:13
clarifications
104:20
clarify 92:16
clean 24:25
cleaned 27:5
132:25
cleanliness 25:5
clean-up 25:5
clear 20:20
clearance
112:10
client 68:3
climate 62:14
close 31:21
116:14
closed 63:2
82:11 115:9
cocounsel 4:17
cognizant 40:5
coils 81:15
cold 63:2
collaborative
4:16
colleague
130:22
combined 35:3
come 10:16
14:2 31:1
41:13 68:15
69:10 103:6
129:12
comes 32:15
52:4, 11 53:6
98:8
comfort 109:6
comfortable
69:22, 23, 25
coming 4:5
38:2 74:10, 14
96:9 98:20
129:3
command 75:7
commence 4:25
commenced
119:20
commencing
4:1
comment 33:9
comments 135:9
commercial
100:20

COMMISSION
1:7 2:1 4:22
7:3
commissioned
24:12
commissioning
6:17, 25 10:22
16:8, 12 17:9
18:12, 22 86:7,
11 105:2, 4
106:9 110:22
111:25
Commission's
4:15, 23 5:1, 6
commitments
122:3
communicated
118:22
communication
67:8
communications
67:9 119:3
communities
98:5
commuter 47:2
commuter-type
46:16
companies 7:22
35:10 38:22
56:20
company 105:18
compare 108:22
compared 36:25
competitors
38:22
complete 6:15,
17 14:20 22:18
89:7 90:17
109:20
completed
16:19 20:18
21:7 32:11
60:14 61:8
65:21 72:12
86:2 87:1, 18
94:15 104:9, 13
134:5
completely
82:10 83:2
completing
87:15 92:24
completion
6:20 22:10
23:2 27:20
33:24 56:2, 8

59:7 86:18
115:2
completions
58:14
complex 101:8
128:1
complexity
127:23
compliment
91:19
component
30:9 59:20, 21,
22, 25 60:3, 17
61:9, 23 62:11
64:23 65:4
66:3 76:4 94:8
99:20
component-level
60:10, 12
components
61:13 66:6
74:19 75:2
77:20, 21 88:23
compressed
103:21 110:3
compression
109:23
comprised 9:11
16:9
concept 24:4
concern 33:17
concerned
43:15 57:7
58:24 77:1
97:8 124:11
concerns 33:3
49:17 61:9
110:5 115:17
conclusion
69:11
condition 88:9
117:12
conditioning
67:21 117:18
conditions
62:23 63:7
131:19 132:20
133:19 134:1
conduct 6:18
conducted
16:25 72:25
106:14
confidence
78:23 80:18

126:15
confident 34:8
confidential 5:7
configuration
11:12 120:17
conflicting
114:13
confusion 72:15
conjunction
112:1, 23 113:7
connect 52:23
connecting
52:15
connections
52:14 53:8
consecutively
24:17
consider 43:7
130:15
consideration
75:10
considered
21:23
constructed
97:14
construction 9:2
CONSTRUCTOR
S 1:8 2:6
consultant
116:24
consultants
61:15, 16
contactors
80:10, 14, 15
contained
120:16, 17, 20
contains 75:20
content 71:4
94:6, 15
context 129:22
contract 8:10
41:17 58:6
98:8 128:14, 16
contracts 51:19
contractual 31:5
contribute
133:14
Control 10:14
11:6, 11, 16, 21,
22 12:21 13:1
14:3, 9, 16
15:14, 16, 22
22:16 34:17, 21,
22 35:6, 8
36:14, 21 37:10

<p>38:24 41:2 45:2, 10 47:1 91:12 105:24 122:24 131:23 controller 41:12 64:10 converter 30:6 converts 30:1, 2, 7 convince 41:9 cooker 101:8 cooling 62:17, 24 co-operative 38:21 copies 35:5 copy 7:3, 8 correct 5:10 7:12 10:9 19:4 20:8, 15 23:18 26:17 28:6, 17, 25 30:21 31:3, 7, 8, 11, 12 32:2 43:3, 4 44:21 50:3 60:16 64:22 65:10 66:19 89:13, 24 92:21 93:2 109:17, 18, 25 112:1, 21 114:8 corrected 12:12 23:15 27:7 32:23 correcting 31:16 corrections 5:2, 5, 13 14:25 34:5 76:24 correctly 64:5 70:19 72:13 76:25 102:2 107:11 129:14 133:4 correspondence 14:14 corrosion 76:15 COUNSEL 2:1, 2, 3 4:19 5:7 couple 53:15 95:12 122:20 123:10 cover 81:6, 12 CR 11:15 crack 25:19 cracked 123:25 124:3 125:15</p>	<p>cracks 124:23, 25 crawling 97:5 CRE 61:13 create 45:24 95:8 created 23:10 27:22 120:8 CREs 104:17 CRI 61:13 CRIs 104:17 criteria 19:13, 21 110:11 critical 52:12, 16 53:6 55:3 103:5 Crown 5:22 CSR 135:3 currently 79:9 Curriculum 3:3 11:3 curve 64:12 98:19 curves 48:14 64:13 customer 8:9, 25 17:5 24:7 customers 101:7 cut 108:17 CV 7:4, 8 11:1 CVS 77:8, 9 cycle 96:4 < D > daily 100:15 damages 100:15 Dan 116:22 data 105:12 109:14 112:13 113:16 date 21:4 100:13, 16, 17 121:11 135:6 Dated 135:14 day 1:16 28:9, 12 29:11 42:5 69:22 75:24 84:20 120:12 127:19 128:11 135:14 days 37:22 108:17 127:20 129:9, 17 DC 30:3</p>	<p>deal 33:5 92:2 117:5 dealing 33:6 39:16 49:24 65:3, 18 101:4, 5, 6 dealt 26:14 125:11 deceleration 64:13 December 58:8 87:5 113:3 114:24 decided 18:13 70:15 108:19 decision 109:15 declaration 4:15 dedicated 49:17 50:15, 18 96:15 97:18 deemed 5:17 deep 40:3 deeper 118:18 defective 132:16 defects 132:18 deferred 25:15 26:16 42:4 deficiencies 10:8 12:12 31:3, 16 32:3 33:6 84:16 deficiency 28:15, 18, 22 122:12 deficiently 30:19 definitely 25:20 39:6 61:21 75:10 80:2 91:7 92:5, 13 93:18 97:2 111:19 123:3, 14 125:21 127:7 defunct 7:22 delay 19:23 55:10 86:7, 14 delayed 37:1 56:7 57:4 86:11 90:20, 23 103:21 delays 56:13 57:3, 11 91:16 99:21 deliver 51:21 91:22 93:5 101:8 127:17</p>	<p>delivered 24:11 55:8 89:11, 15 92:19 101:16 120:13, 14, 15 121:1, 3, 8 122:6 delivering 10:21 89:22 90:20, 23 122:3 127:10 delivery 87:23 89:3 125:6, 16, 18 demanding 101:24 demands 75:8 dents 25:6 depending 127:22 133:19 134:1 derailment 16:1 derailments 15:19, 21 123:24 124:12, 13, 23 derivatives 44:8 derived 71:15 describe 39:7 described 28:24 44:12 71:12 DESCRIPTION 3:2 design 9:1 14:10, 12 20:17, 24, 25 21:6 34:23 38:23 43:23 51:22 53:4 56:23 74:15 designed 18:23 35:13 47:23 95:4, 5 designer 8:4 designs 43:21 45:6 98:11 detail 15:17 44:10 deteriorated 29:14 determination 74:18 determine 84:11 117:24 determined 12:3 developed 18:11, 12 22:25</p>	<p>23:4 deviated 110:10 device 29:24 82:15 diagnose 117:22 dictate 85:15 difference 17:20 different 15:13 24:4 45:12 46:25 47:8 56:19 59:17, 18 72:1 75:13 80:16 84:1, 3 95:3 104:11 110:11 127:10 128:5 129:4 133:13, 17 difficult 40:6 92:12, 13 101:5, 6 difficulties 77:22 difficulty 39:15 dig 118:18 dings 25:6 direction 51:9 directly 102:4 126:8 Director 8:17 9:9 16:4 dirty 81:19 discovered 84:2, 6, 23 discuss 15:17 discussed 84:1 discussion 126:4, 19, 20, 23 127:1, 3 discussions 28:10 37:14 104:17 126:24 129:23 disks 64:6 76:10 disruption 46:20 94:17 117:20 dissipates 60:8 distance 64:2, 3 82:25 distinction 46:13 65:15 disturbing 94:10 divulge 39:1 documentation 75:15</p>
---	---	--	--	---

documentations 37:15
documents 35:6, 8 37:9, 10 60:18
doing 4:4 12:20 19:10 33:11 51:10 59:3 60:2 71:1 74:4, 6 78:14 82:16 93:8 94:10 98:16 99:12, 14, 17 112:11, 24 113:19 118:10 128:2 129:2, 5, 14, 15
door 26:8 44:7 82:1, 7, 8 83:1, 2 91:8
doors 25:18, 19, 25 26:3, 11, 25 74:5 82:21 115:9 117:14
doorstep 56:10
doubt 97:21
dragging 76:19
drawn 12:5
drill 84:10
drive 22:3 115:24
driven 22:1, 2
driver 17:23 49:19, 21
drivers 22:3 25:21 69:20 115:21, 23
driving 24:21 86:4
dry 114:17, 22 115:7, 12 131:3
due 81:23 109:11
duration 108:18
dwelt 115:5
dynamic 17:3, 8 22:15 35:14 52:20 63:19 65:12, 22, 24 66:3, 5, 9 84:8 88:13 105:10
dynamically 63:3

< E >

earlier 28:9 33:22 37:11 46:2 70:6 71:12 80:11 104:16 122:13 124:1 131:21
early 51:25 73:13 120:8
early-on 53:2
ears 68:22 99:14
easier 50:11 88:3 89:2 91:11 99:15
easy 38:19, 20 50:4, 12 130:20
EDR 82:5, 7, 13, 15, 20, 24, 25
efficiently 101:17
effort 20:24, 25 92:1
electrical 15:12 49:1 52:9
electromagnetic 105:16 113:25 114:1, 5
electronic 52:7, 8 114:2 121:2
element 103:8
elements 65:19
elevated 47:22
emails 119:3
EMC 105:15, 16 112:14 113:14, 23
emergency 49:10 82:1
EMI 114:1
employment 95:7
enclosure 81:7
encountered 69:2
endeavour 91:25
engineer 7:11 8:5
engineering 8:7, 8
ensured 121:20
entail 14:23
entails 16:9
enter 4:22

entered 5:3, 8, 12 18:8 26:6 79:8
entering 50:10
entire 64:25 87:1 106:19, 22 107:14 108:4 109:20
entirely 99:3
entities 13:11, 22 95:3
entry 7:1 49:13
environmental 133:19
equipment 22:14 30:8, 14 38:24 48:12, 16, 22 49:9 52:5, 9, 13, 15, 19 53:19, 22, 23, 24 54:7, 10, 12, 15 55:6, 15 57:8 60:3, 4, 5, 6, 11 61:2, 5 74:7 75:7, 22 76:6 78:1, 5, 25 79:10 80:16 81:10, 16 84:13, 17 85:6, 11, 17 91:10, 12 107:22 114:3 132:16, 18, 19
error 72:6 118:10
errors 5:11
especially 46:16 112:7 128:22
establish 5:20
established 33:25 98:5 127:12
esthetic 27:4
Europe 73:9 96:6
event 40:18 41:6 67:15
eventually 41:25 61:4 77:18
everybody 12:8 48:3
everybody's 12:1

evidence 4:14, 23 5:3, 8, 12, 24 6:2, 6 18:24
EVR 41:6, 10, 15, 21
exactly 54:9 65:5 66:7 118:5
example 14:4, 7, 18, 20 16:22 25:18 26:11, 20 27:25 29:7, 20 38:13 39:11 40:16 43:24 44:2, 6 47:3 49:25 59:24 62:13, 19 63:21 64:14 65:8 74:5 105:8 106:12 109:1, 23 113:5, 16 115:5 117:11 124:24 127:17 130:1
examples 14:2 21:8 126:1
exceeding 64:5
excellent 123:10
excessive 23:24 64:15
executed 110:18
exercise 18:15 74:22
exercised 74:12
Exhibit 11:2, 3
EXHIBITS 3:1
exist 90:13
exiting 50:11
expect 25:7 118:19
expected 38:1 55:4 117:9 118:4
expedition 40:11
experience 7:17, 18 27:11 34:25 43:6 44:3, 20 90:18 98:16, 18 128:19 129:24 130:18 131:11 132:5
experienced 15:19 30:11 130:5, 9
experiences 131:11

experiencing 131:14, 16
expert 40:5
experts 96:17
explain 15:2 21:3 23:19 25:11 40:12 59:19 63:19 72:7
explaining 6:8
explanation 11:7 62:8
extensive 75:3
extent 20:13 39:17 115:13
extricate 82:22
eyes 68:22 99:13

< F >

faced 134:2
facilities 98:6
facility 49:7 61:6 62:15 65:9, 11 77:25 94:20 95:2, 3, 10, 11 97:1, 12, 18, 21 98:15, 25 99:2 127:14
fact 18:25 36:25 46:11 87:9 100:14
factor 43:20
fail 78:18 79:17 100:1
failed 53:25 54:1 85:4 110:19 117:14
failing 74:8, 16, 17 75:2 77:17, 21 92:10
fails 84:18
fail-safe 76:12
failure 19:15 20:1 48:21 84:12, 13 85:11, 16 117:16, 19, 20 118:2, 6, 8, 9, 12
failures 19:23 80:20 83:18, 20 118:20 119:12 122:22

<p>fair 17:14 55:2 103:18 109:22 117:25</p> <p>fairly 34:3 35:9 36:24 37:11 75:1, 3, 6 128:1</p> <p>falling 50:10 64:17</p> <p>familiar 51:19 73:1</p> <p>fancy 49:14</p> <p>fashion 95:5</p> <p>favour 49:11</p> <p>feasible 95:21</p> <p>February 120:7</p> <p>feel 18:24 27:14 54:15 70:4 102:3 103:22 106:8 122:13 129:25</p> <p>feeling 79:20</p> <p>feet 56:17</p> <p>felt 27:16 34:3 102:9, 15 104:23 109:4 121:19 122:19</p> <p>field 75:17</p> <p>figure 56:17 118:17</p> <p>figured 89:2 117:21</p> <p>files 90:12</p> <p>final 6:18, 25 10:23 22:25 69:5 71:9, 16, 25 72:1, 15 86:17 120:5, 6 121:10, 24</p> <p>finalized 51:21 52:25 131:24</p> <p>finalizing 53:16</p> <p>finally 23:3 24:11 108:4</p> <p>Finch 43:16</p> <p>find 23:21 25:12 31:1 43:25 54:6 68:23 70:1 81:22 107:12</p> <p>finding 32:24 84:16</p> <p>findings 58:13</p> <p>fine 35:19, 23 37:23 46:2</p>	<p>47:18 131:22 132:1, 14</p> <p>finish 94:6</p> <p>finished 71:6 85:9</p> <p>firmware 35:22</p> <p>fishing 40:10</p> <p>fist 44:16</p> <p>fit 80:19 111:5</p> <p>five-minute 19:23</p> <p>fix 20:3 48:23 54:11 70:2 78:17 91:4</p> <p>fixed 76:24 118:15</p> <p>flash 30:10, 13</p> <p>flashes 81:4, 6</p> <p>flash-over 81:10</p> <p>flat 123:25 131:10 133:10</p> <p>flats 131:9, 17 132:3, 15, 20 133:7, 15, 24</p> <p>fleet 14:17 36:14, 20 87:1 92:24 128:8</p> <p>Flexity 50:7</p> <p>flipped 28:5</p> <p>floor 46:12 57:22 58:18</p> <p>flow 12:13</p> <p>flowed 15:21</p> <p>FMIs 75:16</p> <p>focus 20:5, 11 54:23 59:10 116:2</p> <p>focused 92:17</p> <p>focusing 101:14</p> <p>foggy 72:10</p> <p>follow 18:18 22:9 54:22 108:2 110:9</p> <p>followed 28:20 110:17</p> <p>following 10:2 21:11 28:11 33:16 46:20 50:20 57:2 71:7 90:7 119:18 123:21</p> <p>follow-up 4:19 10:9 96:19 131:7</p>	<p>footprint 93:13 97:3</p> <p>forced 107:17</p> <p>foregoing 135:5, 11</p> <p>form 64:19 71:4</p> <p>format 26:5</p> <p>forth 104:17 135:7</p> <p>forward 54:18 56:24 57:18 80:5</p> <p>found 25:12 29:5 53:17 69:7 84:15</p> <p>frame 32:10</p> <p>frames 26:8</p> <p>France 72:23 73:4 107:22</p> <p>Fraser 2:3 14:1 51:1 63:8 70:18 71:24 72:7, 19 96:19 97:11 131:5 132:7 133:11 134:3</p> <p>French 77:8, 9</p> <p>frequencies 114:13</p> <p>fresh 10:21 38:1</p> <p>Friday 101:25</p> <p>front 26:14</p> <p>fulfill 16:5</p> <p>full 15:11 49:18 75:23 82:16 91:19 105:5, 16 106:6 107:4</p> <p>fully 78:12 83:13 114:17</p> <p>functionality 62:22</p> <p>functioning 89:12</p> <p>functions 8:13 10:4 11:8</p> <p>funny 39:18</p> <p>< G ></p> <p>gain 130:18</p> <p>gamut 75:23</p> <p>Gardner 116:22</p> <p>garnished 93:11</p>	<p>generally 12:24 16:3, 22 35:21, 22 48:15 54:16 57:10 59:4 62:9 65:4 81:23 90:18 95:21 99:25 104:5 111:1, 11 113:18 117:16</p> <p>generate 60:8 121:14 133:23</p> <p>generated 27:21 35:7 40:24 53:20 61:14 118:12</p> <p>gentleman 58:4</p> <p>give 7:13 9:10 11:6 14:1 16:6 21:7 24:24 57:20 62:7 84:9 106:12 114:5</p> <p>given 5:9, 23 18:25 43:6 83:12 128:19</p> <p>giving 6:2 38:11</p> <p>glass 25:19 26:8</p> <p>global 102:13</p> <p>globally 102:9</p> <p>goings 118:24</p> <p>Good 4:3 26:11 34:3, 8 35:10 36:9 38:1 52:4 61:20 69:9 71:20 78:25 95:20 104:24 106:21 111:20 122:22 123:8 126:10</p> <p>gradual 128:7</p> <p>granted 107:5</p> <p>gravity 48:13, 17</p> <p>Great 49:12 122:21</p> <p>greater 117:21 122:14</p> <p>Greenfield 127:8</p> <p>grew 28:5</p> <p>grime 81:19</p> <p>grommet 82:14</p> <p>ground 5:18</p>	<p>31:24 33:2, 10</p> <p>grounded 81:21</p> <p>guess 20:12 29:13 32:7 55:1 68:1, 21 69:9 85:3 86:4 99:13 109:16</p> <p>guideway 49:18</p> <p>gut 79:20</p> <p>guttled 88:12</p> <p>guy 38:1 116:21</p> <p>< H ></p> <p>half 28:12 71:19 98:10</p> <p>handed 65:23</p> <p>handful 20:19</p> <p>handle 112:16 130:10</p> <p>handled 57:9 104:5 119:24 124:10 125:10</p> <p>handling 112:6, 7</p> <p>handover 85:10 119:24 121:20</p> <p>hands 120:25</p> <p>hands-on 96:12</p> <p>happen 19:17 78:15 83:18, 23, 24 86:10 122:23</p> <p>happened 27:17, 19 82:23 83:12 88:20 125:23</p> <p>happening 58:17 87:20 113:1, 11, 21 123:1 125:7</p> <p>happenings 119:4</p> <p>happens 60:17 84:19 95:22 123:2</p> <p>hard 33:8 39:23 40:2, 12 121:2 130:13</p> <p>hardware 15:12 35:22</p> <p>Harland 2:3 4:17 14:1 51:1 63:8 70:18 71:24 72:7, 19 96:19 97:11 130:23 131:5</p>
--	--	--	---	---

132:7 133:11 134:3 harmonized 46:4 hat 129:7 head 44:6 61:20 126:2 headed 10:14 hear 4:6 heard 4:4 59:18 80:9, 20 118:25 119:1 hearings 4:10, 16, 23, 24, 25 heat 60:8 63:2 heating 62:17, 24 Held 1:15 8:13 37:14, 16 124:14 Helen 2:12 135:3, 18 help 44:3 72:17 102:6, 7 117:22 133:14, 25 helpful 72:19 Hey 108:1 high 7:14 29:25 105:11 112:13 127:24 higher 48:13 109:10 high-speed 47:3 113:16 hindsight 34:1 70:5, 9 97:11 122:19 123:13 126:9, 17 127:4 128:6 hired 6:11, 12 78:2 130:10 historical 12:19 53:4 history 23:12 75:21, 23 120:9, 11, 14, 15 121:7, 10, 12 122:5 holy 69:1 honest 61:12 hook 49:3 horn 67:8 Hornell 72:24 73:5 98:2 hour 64:11	HPU 76:2, 21 132:17 huge 30:5 81:15 hundred 23:13, 22 33:12 98:1 hung 76:18 HVAC 63:5 hydraulic 74:7 75:1, 5, 11 76:10, 12 < I > ICDs 36:3 ice 132:24 idea 126:10 Imbesi 2:2 4:3, 9 7:2, 7, 10, 13 8:18 9:8, 24 10:25 11:5 12:10 13:2, 10, 16, 20 15:15 16:2 17:11 18:20 20:5, 10 21:2 23:19 25:10 26:12 27:11 28:14, 21 29:21 30:9, 17 31:4, 9, 13 32:9 33:1, 14 34:9 35:25 36:23 37:3 38:5 39:9 40:8 42:2, 10 43:1, 5 44:11, 18, 23 45:13, 22 46:9, 19 47:9 48:8 49:22 51:16 52:1 53:9 54:14 55:1, 18 56:12 57:1, 24 58:19 59:16 60:13 61:7, 24 62:4, 7, 20 63:17 64:20 65:1, 6, 14 66:1, 8, 12, 17, 20 67:13 68:1, 17 69:16 70:4 71:7, 11, 19 72:21 73:10, 21 74:25 76:1, 20 77:2, 6, 11 78:7 79:12, 23 80:8, 23 81:2, 25 83:9, 25 84:22	85:24 86:22 87:24 89:5, 10, 20 90:15 91:15 92:14, 22 93:3, 21 94:18 98:24 99:8, 19 100:12, 22 101:19 102:21 103:18 104:25 106:8 108:6 109:16, 21 110:1, 20 111:6, 16, 21 112:19, 22 113:22 114:6, 15 115:10, 16 116:3 117:4, 8, 25 118:20 119:6, 11, 16, 23 121:18 122:11 123:16, 19 124:19 125:14 126:3, 18, 25 127:4 128:10, 18 129:21 130:21 immediately 79:17 impact 12:22 86:6, 20, 21 92:5 93:15, 19, 21 99:20 101:20 123:3, 15 impacted 55:12 91:22 93:5 impacting 33:19 93:16 impacts 59:3 implementation 12:3 14:16 15:5, 11 95:18 implemented 15:23 implementing 125:15 implications 83:4 110:6 important 32:8 69:19 94:5 imported 125:17 imposed 63:6 impressed 36:22 impression 78:13 improve 11:20	improvements 19:7 inability 42:12 include 65:19 111:3 included 58:13 62:21 68:10 includes 11:17 incorporated 43:22 increase 95:7 incriminate 5:19 INDEX 3:1 indicate 77:19 indicated 44:19 indicating 40:11 indication 108:8 individual 58:1 59:23 60:10 inductors 30:15 80:14 81:9, 11, 15, 19, 24 industry 83:19 96:14 infant 74:14 infiltration 60:7 inform 129:24 information 11:23 37:5 39:1, 12, 20, 21 40:1, 13 41:3, 4, 10, 13, 18, 23, 24 42:6, 12, 22, 24 44:10 57:17, 19 58:20, 22 120:1 informed 118:24 infrastructure 9:2, 16 11:12 18:1 ingress 81:14 inherited 122:14 in-house 60:6 initial 72:22 86:25 90:16 initially 58:4 80:4 initiate 14:20 initiators 13:25 input 69:17 inputs 46:8 124:6 Inquiries 5:16 inquiry 5:16, 23	inside 48:25 81:16 82:15 88:10 insight 16:6 38:14 56:13 93:4 115:11 123:20 124:2 inspect 24:7, 8, 17 61:1 66:25 67:1, 2, 3 inspected 23:8 34:4 inspecting 59:5, 6 inspection 22:25 60:25 66:24, 25 67:12 71:8 120:5, 21 122:7 inspections 10:22 24:10 29:6 71:15 93:9 97:4 120:6 install 15:6 25:25 45:10 installation 53:24 installed 105:23 instance 5:21 instances 19:12 instructions 32:19 75:17 instrument 107:20 108:7, 11, 16, 24 instrumentation 108:15 109:13, 19 instrumented 109:4 instrumenting 108:18 instruments 108:20 insulation 81:14, 17 integrated 45:15 114:18 integrating 9:20 20:13 34:16 45:22 46:25 Integration 8:16 9:10, 14, 16, 18 16:4, 7 17:25 19:2 20:7, 11,
---	---	---	---	--

17, 24 21:6, 15
22:2, 13, 21
24:22 35:1
36:6 37:6 46:2
47:6, 8, 11 59:9
66:17 112:4, 8
integrator 8:8
intends 4:22
intensive 96:12
interact 56:19
interchangeably
63:10, 12
interface 35:6, 8
37:10, 17 38:7,
10 45:24
interfaces 9:19
38:11 42:25
52:4, 8, 11, 12,
22, 25 104:4
106:2 112:6
132:14
interfacing
45:11 101:21
interference
105:17 114:1
interferes 114:7
interior 67:3, 9,
21 88:11 105:10
intermixed
49:15
internal 100:23
internally 121:25
interruption
117:17
intervene 4:18
interview 4:11,
13, 17, 20, 21
28:10
introduction
128:7
investigating
74:17 91:2
investigative
125:12
invited 68:10,
13 124:13
involved 7:15
8:1, 9, 11, 19
9:5 10:11, 13,
18 24:2, 5
34:24 47:7
53:1 57:10
59:13 68:19
69:7, 8 70:6
71:13 73:18

92:16 95:1
100:19 101:10
102:22 103:2,
23, 24 105:9, 11,
15 106:5 111:9
124:5 125:12
126:24
involvement
51:18 59:15
60:14 61:8
105:1, 6 116:4
117:10 124:20
issue 25:20, 21
28:4 32:16
33:13 41:20
54:15 69:11, 12
72:5, 8 76:21
78:7 79:22
80:10 81:3, 23
82:18 83:11, 14
85:25 96:20
102:6 123:25
125:16 131:10
issues 15:20,
23 21:15 25:18
26:13 29:8
33:5 38:17
39:14 42:10, 15
46:7, 18 51:1
56:23 57:3
58:15 59:9
61:18, 19 74:15
75:3 76:2, 14,
16, 17 79:16
80:9, 14, 22
82:5, 12 84:1,
23 85:18 96:23,
25 99:22
104:15 105:14
118:21 123:16,
20 124:1, 4, 21
125:18 131:8,
18 132:17
133:1, 2, 6, 9
item 27:2 28:1
29:19 59:23
77:12 80:21
82:2, 5 124:25
items 10:10
20:19, 21 23:14,
15, 22 25:4, 11
26:25 27:4, 6,
12, 23 28:1, 2, 6,
11, 19, 22 29:2,
3, 5 30:17, 23

33:15 37:23
42:4, 17 74:19
124:9 125:23
iterations 80:16

< J >
Jacques 6:13
21:19 37:16
70:9 71:1
James 13:5
January 23:7
87:5 120:7
Jean 58:9
Jerk 64:13
jerks 64:16
JL 116:20
job 33:11
54:24, 25 58:7,
23 96:12 101:1
116:2
jobs 95:8
joined 113:2
114:24
JOSEPH 1:8
2:6 3:3 4:2, 8
6:10 7:6, 9, 12,
19 8:21 9:13
10:6 11:4, 10
12:17 13:4, 14,
18, 21 14:4
15:25 16:11
17:18 19:4
20:9, 15 21:13
23:25 25:17
26:17 27:16
28:17, 25 29:23
30:13, 22 31:8,
12, 19 32:14
33:8, 21 34:13
36:8 37:2, 8
38:9 39:18
40:15 42:8, 14
43:4, 9 44:14,
21, 24 45:17, 25
46:14, 24 47:12
48:11 50:3
51:4, 24 52:3
53:12 54:19
55:5, 23 56:14
57:6 58:3 59:1,
22 60:16 61:11
62:1, 6, 9, 25
63:11, 21 64:22
65:5, 10, 20
66:7, 11, 15, 19,

23 67:15 68:5,
21 69:19 70:8,
23 71:10, 17
72:4, 9 73:2, 17
74:2 75:5 76:5,
23 77:5, 7, 14
78:9 79:15
80:1, 13, 25
81:5 82:4
83:15 84:5
85:3 86:13
87:2 88:6 89:9,
13, 24 90:22
91:24 92:21
93:2, 7, 25
94:23 96:24
97:16 99:4, 11,
23 100:18, 25
101:23 102:25
103:22 105:7
106:11 108:13
109:18, 25
110:7, 23 111:8,
17 112:2, 21
113:2, 25 114:8,
21 115:14, 19
116:6 117:7, 11
118:5, 25
119:10, 14, 22
120:3 121:22
122:16 123:17
124:3, 22
125:19 126:8,
22 127:2, 7
128:13, 22
130:6 131:2, 13
132:10 133:16
jump 31:2
70:18
jumps 62:2
junction 56:15
87:7
June 27:5

< K >
keepers 121:2
keeping 100:9
119:13
kept 108:3
keys 71:4, 5
kilometre 18:15
19:11, 14
kilometres 17:7
18:6, 10 20:1

33:23 64:11
128:25 129:6
kind 12:13
24:4 27:18
28:7 54:21
63:15 69:4
88:25 94:24
104:1 110:10,
11, 16 112:5, 12,
16 113:17
126:6 131:3, 17
knew 26:3 34:2
54:9 109:2
118:7, 8, 14
know-how 78:4
knowledge
13:17 45:14
73:12 78:3
81:4 125:15
knows 69:20
Korea 34:18

< L >
lab 60:5
labour 96:12
lack 59:24
ladder 49:3
laptop 48:24
larger 97:3
Las 8:23 9:6
lasts 19:15
late 36:18
56:11
launch 129:16
Lavalin 6:12
7:16, 23, 25 8:16
lead 26:18
110:4 133:1
leading 116:17
learn 35:14
learned 40:25
69:4
learning 98:18
leave 95:23
leaving 36:25
led 117:10
left 23:17
50:19 89:1
91:18 95:24
104:15 112:12
122:9
lender 58:2
lenders 57:15

<p>length 115:12 128:12 129:22, 25 lesson 69:4 letters 14:13 level 7:14 8:24 9:4 16:6 33:4 40:13 42:6 44:10 49:13 57:20 60:3, 18 64:23, 24 105:1 110:4, 21 111:4, 20 115:7, 17 122:17 124:10 128:8 129:24 leveling 120:21 levels 109:2 133:13, 18 Levesque 13:6 Lexan 25:25 26:4 L'Homme 90:3 liability 5:21 life 89:4 95:2 lift 50:12 LIGHT 1:7 84:18, 19, 21 134:3 lights 67:22 liked 128:20 limbo 89:19 limited 39:10 limits 35:19 64:5 liquidated 100:15 lists 120:8, 9, 10 122:7 Litigation 2:2, 3 LLP 2:8 load 88:8 loads 63:5 local 95:7 locally 91:13 located 54:8 logistical 99:22 logistics 94:1 long 26:18 32:7, 23 52:17 longer 24:19 29:17 128:4, 21 130:2, 3, 16 looked 34:6 37:9 47:14</p>	<p>looking 130:16 lose 39:3 losing 91:13 lot 48:17 50:11 84:14 88:7, 16 94:13 96:10 101:11 102:9, 14 109:10 111:1 112:8 126:14 127:9 132:23 Louis 58:9 low 46:12 49:12 lower 48:18 lowest 18:6, 7 low-floor 45:16, 23 46:11 50:2 LRT 6:9 92:17 LRV 45:16, 23 46:11, 12 47:16, 18, 19, 20 48:5, 9 49:11, 18, 23 51:2 55:19 64:21 65:2, 17 66:4 87:10, 11, 15 88:6, 18 89:6, 10, 14 118:2 LRV43 79:6 LRV44 79:6 LRVs 28:23 57:3 86:2, 7 88:2 119:24 < M > made 5:2, 5, 13 34:5 40:21 47:11 52:14 124:5 132:1 135:9 main 6:15 9:23 17:8 18:8 21:25 48:21 63:25 96:20 105:12 106:6 126:13 127:14 maintain 10:7 11:12 94:2 97:9 maintenance 31:2, 10, 11 32:1, 2, 5, 16 33:5 48:19 49:6, 10 78:14 94:22 95:1, 11 119:12 122:15,</p>	<p>17 123:4, 15 129:10 major 12:15, 18 29:2, 3 54:23 60:11 75:2, 6 77:15 80:9 88:7 111:11 making 35:1 42:1 46:3 59:6 94:1, 3 115:5 125:9 manage 92:1 manageable 27:14, 17 management 8:12 16:7 57:20 101:21 102:4 manager 8:7, 8, 11 58:11 mandate 101:15 manifested 39:15 manipulated 41:14 manner 91:23 110:3 Mannu 2:7 manpower 33:4 manual 21:24 22:1 34:22 manufacture 97:10 manufactured 45:7 87:19 manufacturer 52:10 manufacturers 34:15, 16 manufacturing 65:11 92:19 95:2, 10, 17 96:15 97:18, 20 98:6 March 23:8, 14 107:19, 23 113:14 120:8 MARCONI 1:8 2:6 3:4 4:2, 4, 8 6:10 7:6, 9, 12, 19 8:21 9:13 10:6 11:4, 10 12:17 13:4, 14, 18, 21 14:4 15:25 16:11</p>	<p>17:18 19:4 20:9, 15 21:13 23:25 25:17 26:17 27:16 28:17, 25 29:23 30:13, 22 31:8, 12, 19 32:14 33:8, 21 34:13 36:8 37:2, 8 38:9 39:18 40:15 42:8, 14 43:4, 9 44:14, 21, 24 45:17, 25 46:14, 19, 24 47:12 48:11 50:3 51:4, 24 52:3 53:12 54:19 55:5, 23 56:14 57:6 58:3 59:1, 22 60:16 61:11 62:1, 6, 9, 25 63:11, 21 64:22 65:5, 10, 20 66:7, 11, 15, 19, 23 67:15 68:5, 21 69:19 70:8, 23 71:10, 17, 24 72:4, 9, 21 73:2, 17 74:2 75:5 76:5, 23 77:5, 7, 14 78:9 79:15 80:1, 13, 25 81:5 82:4 83:15 84:5 85:3 86:13 87:2 88:6 89:9, 13, 24 90:22 91:24 92:21 93:2, 7, 25 94:23 96:24 97:16 99:4, 11, 23 100:18, 25 101:23 102:25 103:22 105:7 106:11 108:13 109:18, 25 110:7, 23 111:8, 17 112:2, 21 113:2, 25 114:8, 21 115:14, 19 116:6 117:7, 11 118:5, 25 119:10, 14, 22 120:3 121:22</p>	<p>122:16 123:17 124:3, 22 125:19 126:8, 22 127:2, 7 128:13, 22 130:6 131:2, 13 132:10 133:16 mark 11:2 116:23 Martineau 2:12 135:3, 18 massaging 35:20 master 41:12 64:9 material 81:17 materials 26:7, 8 98:11 Matt 13:8 57:9 89:25 104:5 112:4, 5, 20 matter 35:18 50:20 83:13 87:9 matures 19:8 maturity 19:5 maximum 40:20, 23 McDermott 58:5 MDL 27:21, 24 28:5, 11, 15, 24 29:3, 19 30:18, 23 33:16 71:14 79:25 80:2, 24 122:10 MDLs 31:20, 21 32:23 meaning 65:1 means 17:1 48:14 52:6 85:13 measure 64:3 mechanical 7:11 15:12 mechanism 82:1, 2 media 102:12 meet 51:12 90:4 102:24 108:8, 9 meeting 51:7 74:2 90:1 98:14 135:9 meetings 14:14 37:14, 17, 19</p>
---	---	---	---	---

<p>38:6, 8, 10 40:7 124:14 meets 12:1 melted 35:2 Member 2:2, 3 memory 21:14 72:9 mentioned 11:6 17:12 21:6, 16 23:22 32:9 38:5 58:1, 19 59:16, 20 62:5 74:25 77:3 81:25 92:14 104:16 108:7 113:23 123:21 125:14 126:19 mentors 96:2 met 37:21 41:8 89:25 119:8 metal 81:22 method 12:3 34:21 methodology 46:6 methods 8:6 Mexico 96:6 mid-December 54:13 middle 109:7 mid-September 54:8 midway 119:8 mileage 18:7, 17 mind 47:13, 17 49:21 50:24 62:3 125:20 minimum 18:16 minor 10:8 12:12 28:15, 18, 22 29:5 30:18 31:3, 16 32:3 33:6 122:12 minutes 19:16 20:2 117:21 minutiae 58:24 missed 21:4 56:8 69:3 83:24 100:13, 16 missing 53:18, 21 54:7 55:3 58:16 89:1 121:19 mistaken 81:8</p>	<p>mitigate 70:2 mitigation 26:23 mixed 50:14, 15 mode 21:24 22:1, 20 47:5 modification 75:17 83:8 126:6 modifications 19:6 75:14, 21 120:18 module 94:8 moisture 132:23 monorail 8:22 month 107:2 113:6 months 51:22 52:18 53:15 56:7, 9 57:1 127:22 morning 4:3 15:18 morphed 110:11 mortality 74:14 motion 65:8, 12, 13, 17 motive 41:24 mounted 29:24 48:12, 16 76:7 mouth 131:3 move 6:22 15:16 16:21 54:18 56:24 66:4 69:12 94:4, 14 moved 72:25 moving 94:1 99:19 MSF 49:7 57:22 58:17 65:9 93:13, 24 94:19 97:2, 7 99:10 multiple 14:25 mystifying 49:21</p> <p>< N > Nadon 13:4 112:20 113:20 nails 125:25 nature 52:2 99:22 near 53:15 55:6 nearly 131:5</p>	<p>necessarily 9:15 31:19 33:21 58:23 95:5 97:10 113:7 131:15 necessity 86:5 needed 6:18 9:18 16:16, 18 20:21, 22 21:10, 17 23:15 27:9 37:23 40:2 41:8 42:17 59:4, 9 74:19 78:4 87:8 88:16 91:1 116:14 117:1 118:17 120:18 122:10 132:14 needs 10:9 12:4 15:2 40:19 negotiation 51:18 Neil 58:5 Neil's 58:10 New 8:9 14:6 24:19, 25 25:2, 7 26:7, 8, 10 54:1 56:20 72:24 73:5, 8 95:15 97:22 98:3, 21 125:6 127:8, 9, 17, 18, 24 130:1, 7, 8 132:6, 21 newest 18:8 news 102:12 nights 107:9 noise 60:7 105:10 112:13 nonconforming 26:1 nontypographica l 5:13 Nope 124:22 normal 19:16, 21 83:19 normally 24:5 25:7 52:5 60:17 73:14 94:11 North 45:20 97:22 notch 64:9 noted 79:24</p>	<p>80:24 notes 135:12 notification 22:19 notionally 31:17 November 123:1 NRC 62:15 number 17:2 19:6 51:7 59:17 73:24 86:6 89:1, 4 123:23 131:7 132:12 133:9</p> <p>< O > Oakley 57:18 58:20 object 6:4 objected 5:17 observe 67:19 observed 33:3 39:10 obstacle 102:23 obtain 4:14 obtained 23:5 60:24 110:18 OC 13:8, 11, 17 17:23 22:1 24:20 115:17 130:14 occasion 35:21 occupy 129:25 occur 19:24 83:20 occurred 123:20 124:21 OCS 9:16 30:1, 11 103:7 112:9 October 54:6 56:22 123:1 officially 107:4 oil 76:10 OLRT 1:8 2:6 57:20 OLRTC 6:11, 13 7:16 13:7, 11, 17, 21 14:11 17:4, 25 20:6 21:4 23:9, 11 30:20 31:6, 7, 18 40:22 51:21 58:6 60:20 61:14 67:1, 14 68:4, 6, 14, 24 90:16 100:15,</p>	<p>23 101:11, 20 105:25 106:16 108:12, 14 115:23 119:25 124:12, 16, 18 OLRTC's 67:15 OLRT's 121:12 Olympics 45:3, 4, 8 on-and-off 50:5 on-call 116:12 one-off 16:18 62:10 65:3 ones 12:18 22:10 65:11, 12 74:5 78:17 130:23 open 23:13, 17, 22 25:4 59:14 61:19 82:7, 8, 10 83:1, 2 115:9 117:15 120:18 122:10 124:25 opened 82:21 opening 126:4 operate 9:22 21:24 22:20 30:7 operated 39:8 operation 21:24 22:23 60:9 114:11 134:2 operations 22:17 30:12 32:11 49:6 83:12 119:20 126:7 operator 67:20 69:17 70:7 109:7 118:10 129:24 130:1, 5, 7 133:12, 25 operators 69:21 129:15 opinion 73:12 75:6 94:24 96:18 115:20 opportunity 5:9 opposed 65:2 99:10 option 111:7 order 4:25 16:15 23:1, 2 25:23 32:19, 21</p>
---	---	--	---	---

49:8 52:19 87:22 88:12 91:3 95:19 100:2, 10 102:2, 19 108:17 129:13 ordered 98:11 orient 86:22 original 36:19 37:1 55:25 originally 70:20 91:6 106:10 122:15, 18 ORTC 22:2 other's 46:8 OTTAWA 1:7 6:13 43:16 44:1, 4 50:23 51:3 68:3 72:25 95:8 99:17 130:2 Ottawa's 6:9 outcome 18:24 outputs 38:12 46:8 outset 36:2 outside 130:16 outstanding 21:9 42:5, 11 overall 103:21 110:21 overhead 80:11 114:4 owned 115:23 ownership 121:16 Ozorak 58:9 < P > p.m 1:17 134:5 P25 105:21 112:14 P3 8:20, 23 9:6, 7 69:10 PA 67:9 pace 100:9 pads 64:7 76:8 Paliare 2:7 panel 14:5, 10 panels 14:7 paper 128:15 par 54:17, 21 parallel 74:24 87:20 113:11, 21	parameter 84:13 parameters 4:11 part 6:23 11:25 23:12 32:21 33:7 41:15 66:24 67:11, 24 68:7, 10 69:9 70:20, 21 76:6 87:14 89:16 110:5 112:4 119:12 121:11 122:10 partial 106:6 participants 1:16 2:5 5:6, 12 participate 68:13 107:9 participated 38:6 particular 7:16 27:15 56:15, 16 75:22 83:8 85:5 87:7 103:20 105:8 particularly 11:8 49:11 parties 42:7, 13 55:3 parts 26:18 32:18 53:7 55:11 58:16 78:4, 17 88:19, 22 89:1, 5 90:24 91:4 94:3 97:3 party 39:22 105:18 pass 11:23 119:8 pass/fail 19:20 passed 16:19 19:12 33:15 110:19 passenger 7:17 8:2 82:20, 22 83:2 passengers 47:24 51:8 83:5 passing 19:13 60:19 path 103:5 Paul 116:22 paying 100:15 people 13:23 32:1 33:11	49:13 50:4, 12 56:20 57:19 64:16 69:20 95:8, 14, 15, 23, 24 96:1, 7 98:7 99:13 101:24 102:18 107:21, 22 116:20 117:1 124:16 128:4 129:14 130:8, 10 percent 9:7 43:19 58:13 104:13, 20, 21 perception 79:21 perform 22:15 65:24 66:5 88:12 93:24 98:20 performance 35:16 58:23 60:2 62:21 64:8 94:21 118:2 120:20 performed 17:16 38:15 64:21 66:13 67:14 86:9 112:23 performing 10:4 19:2 30:20 31:14 39:2 65:16 92:25 period 15:7 19:1 23:18 27:13, 18, 24 28:7 31:22 117:2 128:21 130:3 perjury 6:2 permanently 26:4 permit 83:2 permits 4:19 person 5:22 58:3 97:6 personally 78:19 95:9 102:15 124:19 129:18 personnel 93:22 96:21 perspective 9:21 10:11	13:9 14:12 16:12 32:8 34:24 45:12 48:19, 20 49:11 53:5 88:14 97:12 102:14 103:14 104:7, 23 121:12, 23 129:6 Peters 13:8 phase 15:5 27:3 30:1 34:25 88:20 119:2 phone 116:15 119:4 phones 114:2 physically 31:24 pick 38:2, 3 picking 47:24 PICO 36:12 66:9, 14, 15, 16 103:25 piece 61:1 75:6, 22 76:5 128:15 pieces 30:8 38:3 54:10 55:6 60:11 place 6:1 18:4 56:4 73:23 108:19 114:16, 23 120:1 127:1 places 41:11 plan 26:20, 23 72:22 89:22 90:12, 16 104:11 111:13 114:16 116:19, 25 planned 35:13 37:6 55:21 73:16 90:6 91:6 106:10 plans 18:21 111:10 plant 96:16, 21 97:24 98:2 plastic 25:25 26:4 74:5 platform 50:1 82:25 platforms 43:12 49:14	play 52:6 plexiglass 25:25 plotted 64:13 plug 52:6 plugging 48:25 point 4:5 21:10 36:24 37:18 54:20 77:24 109:17 117:14 118:22 pop 35:11, 12 populated 28:23 29:1 port 49:1 portion 70:12 85:6 position 58:10 positions 124:7 possession 121:15 possibility 26:15 possible 46:5 101:18 102:20 post 25:15 66:17 posted 5:1 potential 110:5 133:23 potentially 33:19 79:13 power 29:7, 9, 16, 22, 23, 25 30:5, 6, 7 44:12 75:1, 5 77:3 114:3 practical 16:5 52:2 practice 120:2 predecessor 21:19 predicted 123:6, 18 prematurely 72:17 preparation 6:19 prepared 17:21 35:9 37:12 116:14 121:8 preparing 18:21 PRESENT 2:11 27:1 90:6, 16 presentations 90:13 presented 14:10 69:14
--	---	--	---	---

<p>presenters 135:8</p> <p>pressure 100:23 101:2, 7, 19 102:4, 10, 14, 15 133:22</p> <p>prestige 48:4</p> <p>pretty 35:10 36:9 73:8 78:25 80:6 111:20 113:6</p> <p>prevent 81:13 125:6</p> <p>preventing 82:15</p> <p>prevents 64:16</p> <p>previous 43:20 50:8 108:24 109:14</p> <p>previously 25:9 44:13</p> <p>primarily 20:11 111:23</p> <p>primary 29:14 49:23 59:10</p> <p>prior 7:15 8:18 23:16 44:20 55:7 60:14 61:8 73:15 82:3 83:11, 13, 16 85:25 114:18 116:17 126:21 131:16</p> <p>pristine 24:25</p> <p>problem 20:3 28:2, 3 70:2</p> <p>problematic 109:5</p> <p>problems 74:14 82:6 125:10 133:10</p> <p>procedural 4:24</p> <p>procedure 18:13 22:25 68:7, 8 71:12 106:17, 18 110:17 116:7, 9 120:1 121:24 122:4</p> <p>procedures 104:9 106:23 108:2</p> <p>proceed 89:21 91:21</p>	<p>proceeded 90:19</p> <p>proceeding 58:25</p> <p>proceedings 5:21, 25 135:5</p> <p>process 6:16 12:14 23:4 66:2 67:25 69:5, 23 70:6, 11 79:1 84:3 86:23 120:5 121:20</p> <p>processes 95:25</p> <p>producing 55:16 98:15</p> <p>product 19:8 95:19 96:8, 17</p> <p>production 8:6 10:5 22:8 30:23 31:23 53:16 55:16, 20 57:2, 11, 13, 23, 25 58:25 59:11 73:15 88:20, 24 91:18 94:9, 20 99:1</p> <p>profiles 133:14</p> <p>program 87:4, 6 104:11 111:10, 12, 13 112:18</p> <p>progress 57:16</p> <p>progressed 36:6, 9, 24 88:1</p> <p>progressing 57:22 93:11, 12</p> <p>progression 89:23 90:14 101:21 110:4</p> <p>project 6:13, 22, 23 8:19, 22, 23 9:6, 25 16:10 18:18 21:1 24:14 27:15 34:12 36:1, 7, 17 37:7 40:17 43:17 47:11 51:5, 17, 23 52:2 53:2, 10 55:19 60:15 70:22 73:3 74:1 94:25 95:1 97:14 99:21 100:20 101:9 102:23</p>	<p>projects 8:2, 3, 19, 20 43:14 44:3, 9</p> <p>promising 15:4</p> <p>prone 50:9</p> <p>proper 35:1 46:6 97:3</p> <p>properly 20:20 39:3 67:7 76:18 81:12 93:12 102:2 132:25</p> <p>proposed 10:16 14:5</p> <p>propulsion 17:3 38:16 44:6 63:23 81:9, 16 85:12 88:13</p> <p>prosecution 6:2</p> <p>protect 38:25</p> <p>protected 81:12</p> <p>protocols 110:8</p> <p>prototype 72:23 73:11, 14</p> <p>prove 51:11 62:17 129:18</p> <p>proven 43:7, 8, 22</p> <p>provide 40:22 42:12 52:10 77:18</p> <p>provided 58:20 120:1</p> <p>providing 124:6</p> <p>provision 51:20 57:5 71:8</p> <p>provisional 6:16, 24 21:21 22:10, 11 66:21, 23, 24 67:12, 24 68:2, 4, 14, 19 70:11, 19, 25 71:6</p> <p>provisionally 17:22 21:18 22:5 59:6</p> <p>public 4:15, 23 5:2, 16</p> <p>pull 7:4 20:2 125:23 126:11</p> <p>pulled 19:18 82:20 87:10</p> <p>pump 74:7 75:12</p>	<p>punch 23:11, 20, 21 25:4, 13, 22 27:23 28:24 30:18 33:15 71:14 79:24 80:3, 4, 6 120:8, 9, 10, 16 122:7 124:25 125:22</p> <p>purpose 4:13 11:10 71:16 111:5</p> <p>purposes 92:18</p> <p>Pursuant 5:15</p> <p>push 41:22</p> <p>put 24:12 27:24 63:1, 24 88:8 97:4 116:8, 25 121:23</p> <p>puts 133:22</p> <p>putting 64:8 74:5 96:17 116:18 129:7</p> <p>< Q ></p> <p>qualification 59:8 63:12 88:7</p> <p>qualified 96:16</p> <p>qualify 16:15 79:2</p> <p>qualifying 63:13</p> <p>quality 8:10 24:2 58:11 61:2 94:4 95:19 96:8, 20 98:14 105:9 106:12, 15 110:9, 15 111:2 112:13 113:4, 9, 15</p> <p>question 5:18 6:5 47:17 48:6 50:25 51:13 52:4 61:20 122:17</p> <p>questioning 42:3</p> <p>questions 4:18, 20 60:22, 24 61:19, 22 130:22 134:4</p> <p>quick 102:17</p> <p>quickly 86:16 101:16</p> <p>quit 95:23</p>	<p>quite 36:21 75:18 91:25 97:7 120:24 123:23</p> <p>< R ></p> <p>rack 52:7, 8</p> <p>racks 52:16</p> <p>radio 105:12, 21, 22 106:3 112:14 113:16</p> <p>RAIL 1:7 7:17 43:6 96:11 127:24 131:18 132:21</p> <p>railcar 8:2 34:14, 16</p> <p>rails 132:24</p> <p>rain 133:20</p> <p>raised 40:9</p> <p>ramp 50:13 126:6</p> <p>ran 107:2, 5, 8, 10, 13, 18 108:4, 21 110:13</p> <p>rate 94:2 133:21</p> <p>react 70:1</p> <p>reacted 38:14</p> <p>reaction 132:11, 13</p> <p>read 4:10 35:5 59:1</p> <p>readiness 115:18</p> <p>ready 22:22 32:17 56:3 92:6 101:16 103:10, 11, 12, 13 116:1</p> <p>real 34:23 69:7</p> <p>reality 4:9</p> <p>realized 36:17</p> <p>really 8:21 21:13 28:2 31:15 40:2, 12 41:8 43:18 54:22 55:12, 14 69:11, 12 93:20 95:25 103:5, 14, 23, 24 110:7 115:19, 25 116:1 128:25 129:18</p> <p>rear-view 105:13</p>
--	--	---	---	--

<p>reason 17:19 24:1 108:14 reasoning 68:18 reasons 11:18 90:24, 25 95:12 rebuild 89:3 recall 46:21 53:14, 19 55:6 57:12 59:14 61:25 62:2 70:24 72:4, 13, 14 80:2 82:5 87:9 100:21 105:20 110:13 112:15 113:21 114:22 115:15 116:17 119:15 127:2, 3 133:3 receivable 5:24 receive 12:6 received 36:2, 4 37:9 RECESSED 71:22 85:22 recognize 7:7 recognized 83:15, 16 recollection 73:6, 18 recommendation s 124:7 record 4:10 40:19 recorded 41:1, 5, 11, 15 135:10 recorder 40:18 41:6 records 36:3 recovery 48:20 49:10 rectified 25:13 83:13 redesign 82:17 reduced 107:20 108:6, 11, 15, 19 109:13 126:5 reference 59:18 80:9 referred 66:9, 14 referring 28:15 refers 113:23 refining 35:18 reflect 18:16 37:15 reflected 46:23</p>	<p>regarding 60:19 104:18 regards 61:23 regime 84:15 regimes 83:22 relate 42:5 related 28:22 30:10 51:2 62:23 71:24 76:3 116:12, 13 117:15 119:4, 24 120:20 132:8 relation 124:20 relations 8:25 relationship 29:13 38:18 release 75:9, 20 76:12, 18 82:1, 2, 16 released 131:25 relevant 58:22 reliability 12:23, 25 33:18, 19 110:6 reliable 9:22 reliably 101:17 remain 38:20 42:4, 11 82:8 remained 27:23 remaining 37:23 70:12 93:6, 17 102:24 remember 38:21 56:1 61:21 72:14 100:18 remotely 1:16 removed 53:25 76:11 renumbered 87:11 89:14 repair 54:2, 3, 4 77:25 85:5, 7, 14 repaired 74:19 79:10 91:11, 12 repairing 29:10 78:6 repeat 4:6 6:23 125:9 repeats 113:15 replaced 19:18 53:25 74:20 78:5 replacing 26:9</p>	<p>report 15:9 57:15 77:18 107:12 reported 58:12 Reporter 135:4, 19 REPORTER'S 135:1 reports 16:17 60:18 61:17 120:21, 22, 23 122:8 representative 13:7 58:2 request 11:16, 17 13:24 14:22 40:22 41:20 42:1 requested 40:10, 13 requests 42:21, 23 require 130:2 required 6:3 40:14 51:3, 20 54:17 58:21 65:17 106:6 116:10 117:5 122:14 128:14 requirement 40:18 41:7, 18 51:6 requirements 12:2 47:10 51:13 70:21 108:9 119:7 128:5 requiring 75:3 research 43:10, 11 resetting 35:19 resolution 60:23 92:3 122:10 resolved 9:20 42:15, 17, 18 59:9 61:22 76:22 78:8, 12 105:14 125:11 resource 33:12 resources 32:18 93:22 respect 10:4 11:8 17:16 20:12 33:3, 18</p>	<p>66:6 73:10 80:21 83:10 93:23 99:3 108:10 respects 132:15 responsibilities 8:3 9:12 16:3 responsibility 20:7 105:24 responsible 84:25 105:19 rest 14:17 20:23 22:7 99:6 101:11 103:10, 12 112:17 restart 20:3 result 84:12 86:11 89:10 110:18 results 15:4 84:9 104:19 108:22, 24 RESUMED 71:23 85:23 retains 75:16 retest 85:6, 15 retested 85:2 86:3 retests 86:10 retire 6:14 retrofit 74:21 77:12, 15 83:6, 10 85:1 87:4, 6 89:7, 21, 22 94:21 99:1 retrofits 12:11 31:15 73:23, 24 74:4, 6, 9, 10 75:3 82:3 85:25 86:2, 6, 8, 12, 16, 24 87:19 88:3 90:17, 18, 20, 23 91:8, 9, 16 92:25 99:5 retrofitting 92:8 return 44:3 reuse 43:19 revenue 6:20 7:1 9:25 10:2 16:13 19:17, 21 23:16 24:13 25:14, 15, 24 26:6 28:13 33:16 82:19</p>	<p>83:13, 17 90:9 100:17, 24 119:19 122:20 123:21 126:21 review 5:10 37:4 reviewed 121:25 reviewing 61:17 revised 83:7 revisions 37:13 ride 105:9 106:12, 15 109:6 110:9, 15 112:12 113:4, 9, 15 Rideau 31:10 riding 64:16 ring 72:3 road 79:18, 19 124:24 robbed 100:8 Robilard 13:5 robust 78:20 roland 2:7 role 6:9 9:9, 11, 12 10:2, 7 16:5 36:4 104:1 rolled 27:6 rolling 7:17 roof 29:24 48:12, 22 49:2, 4, 9 67:2 room 62:14 root 77:16 84:10 117:24 118:7, 14 125:4 132:4, 7, 9 Rosenberg 2:7 Rotem 34:17 Rothstein 2:8 round 51:7 115:6 route 69:15 RSA 16:14 18:3 21:4, 11 33:25 34:7 56:3 82:3 83:11 100:13, 16 102:24 114:19 RTG 13:12 21:4 57:19 121:3 RTM 10:14 13:18, 20, 21, 22</p>
---	--	---	---	---

<p>31:10, 11, 17 119:25 121:1 122:13 124:14 run 19:1 30:3, 7 60:9 63:25 67:5, 17, 18, 23 74:12 97:9 103:9 106:18, 25 107:14, 17, 23 123:10 128:24 129:1, 8 running 6:20 19:21 23:2 29:11 30:25 33:25 36:12, 20 39:2 47:21 49:20 50:14 55:9 63:3 78:13 90:9 97:13 98:9 100:3 101:16 102:11 103:11, 13 105:5 111:25 113:8, 9 114:9, 11, 17, 18, 22 115:3, 13 116:4, 11, 18 117:6 118:2, 11, 22, 24 119:1, 5, 8, 9, 18 121:13 127:15, 21 128:11, 23 129:2, 22 130:3 131:15, 16 runs 114:20 115:8 Rupert 90:1</p> <p>< S > safe 9:22 21:23 safely 101:17 safety 12:22, 24 21:22 25:20 26:13, 21 27:1 67:7 71:2 75:10 83:4 120:19 122:6 124:15 sale 7:1 10:24 sales 121:14 sand 88:8, 10 133:4 sanding 133:3, 5 satisfaction 78:8</p>	<p>satisfactory 76:22 satisfy 100:10 save 109:17, 18 scale 86:14 scanned 59:2 schedule 12:5 23:6 37:1 54:24 55:22, 24 56:6, 10 89:23 90:6, 11, 17, 19 schedules 36:19 53:11 54:16, 23 98:15 scope 40:19 107:20 108:7, 11, 15, 19 109:13 score 116:8 119:13 scramble 54:5 scratches 25:6 screen 7:4, 5 11:1 se 8:21 seat 67:20, 22 109:7 seclusion 99:15 secondary 78:22 79:2 seconded 6:12 section 5:15 6:3, 5 sections 107:13 secure 29:12 secured 26:7 29:15 security 25:21 26:13, 21 27:2 segments 105:3 selection 47:16 selections 134:1 send 54:11 60:4, 5 sending 91:10 sense 24:24 36:5 37:4 38:10, 19 39:12, 19 96:10 127:9 128:9 separate 12:10, 14, 18 83:14 110:25 September 54:6 56:22 107:1 113:10</p>	<p>serial 63:18 73:15 series 16:16, 23, 25 63:22 64:19, 20, 24 111:2, 3 service 6:20 7:1 8:9 9:25 10:3 16:14 19:15, 17, 21 23:17 24:13 25:14, 16, 24 26:6, 24 28:13 30:25 33:16 43:8, 21 79:8, 9 82:19 83:14, 17 90:10 100:17, 24 115:18 117:17 119:19 122:20 123:21 126:5, 12, 21 services 19:18 set 77:24 91:3 95:19 135:6 sets 72:1 set-up 110:12 severe 109:5 shape 34:4, 7, 8 104:24 share 39:20, 21 shared 5:5, 11 7:2 39:13 sharing 11:1 42:6 Sharon 57:18 58:13 shatter 25:20 sheer 93:23 sheets 61:14 shipped 61:5 shipping 91:14 shop 91:3 93:9 shorter 128:3 Shorthand 135:4, 12, 19 shot 24:16 shoulders 101:12 showing 90:14 129:16 shown 15:4 showroom 25:1 shuttling 129:4 side 16:22 27:10 57:11 103:17 104:22</p>	<p>110:25 111:18, 19 132:19 133:12 sides 67:3 Siemens 34:15 sign 121:10 signaling 20:14 34:11 45:15 57:4, 7 65:19 66:6 103:20 112:1 signals 50:16, 17 signatures 108:23 signed 72:2, 10, 11 significance 61:25 significant 19:1 29:4 88:2 100:22 123:24 130:4 significantly 36:24 signing 72:16 128:16 similar 101:3 simple 40:16 simply 10:3 simulate 63:2 simulating 63:4 single 103:8 sir 119:10, 14 sit 13:7 67:18, 19, 22 81:16 site 24:12 95:15 sits 13:2, 4, 5, 6, 8, 18 sitting 28:19 32:17 situated 38:4 situation 44:4 68:24 130:20 132:4 situations 101:3 117:14 124:8 130:11 131:20 132:2 six-month 28:7 sky 49:3 Slade 57:9 89:25 104:6 112:20</p>	<p>sliding 52:15 131:19 132:8 slightly 82:9 83:1 smokes 69:2 smoother 121:21 SNC 6:12 7:15, 25 snow 133:20 soft 126:4, 11, 15, 20 128:7 129:23 130:4 Software 14:19, 21, 23 15:1, 6, 12 19:7 35:21, 23 131:24 sold 17:10 24:12 solemn 4:14 solenoid 74:9 solutions 70:2 somebody 13:12 57:12 78:2, 3 126:14 soon 126:12 sooner 69:24 70:1 soot 81:19 sorry 51:24 56:14 62:1 72:13, 17 73:20 100:19 sort 40:9 93:15 96:20 126:10 sorted 21:17 sorts 15:13 24:20 90:24 129:5, 17 sounding 10:15 sounds 95:20 source 29:13, 15, 17 30:6 41:13 78:22 79:2 sources 30:7 space 93:24 96:22 99:11 spare 78:16 spares 100:2 speak 32:12 59:8 73:22 102:25 103:5 111:17 126:17 130:13</p>
--	---	--	---	--

<p>speaking 34:25 59:4 specific 47:10 62:2 81:3 105:3 specifically 99:9 102:5 131:9 speculate 99:18 speed 40:20, 23, 24, 25 51:3 105:11 112:13 127:24 speeds 63:25 spin 133:6 spiral 122:23 Spirit 43:2, 12, 14, 23 spite 87:19 spoke 71:9 80:11 119:18 131:8 spoken 16:3 86:1 91:17 93:1 122:12 spool 74:8 spread 97:4 spring-applied 76:11 squeeze 76:10 stabilized 80:17 stable 48:15 staffing 116:19, 25 Stage 6:9, 16, 22 10:5, 7, 11, 19, 20 11:9 16:21 17:14, 16, 21 18:13, 18, 22, 25 19:5 20:6 22:22 24:3, 14 26:10 29:16, 18 37:25 55:9, 10 67:5 68:5, 7, 8, 9, 12, 15, 19, 20 69:1, 6, 14, 15 70:16 73:19 79:3 80:4, 5 84:24 86:20 87:12, 13, 14, 21, 23 88:4 89:3, 8, 16, 18 92:15, 16, 18, 20, 24 93:4, 6, 15, 17 98:20 99:1, 3, 5, 6 100:1, 4, 6, 10,</p>	<p>11 103:24 104:1, 2 117:18 125:1, 2, 3, 16, 18, 23, 25 stages 53:2, 5 84:3 stakeholders 69:8 stand 97:17 98:13, 22 stand-alones 113:17 standpoint 44:5 start 6:8 20:4 51:17 52:19 94:8 126:4, 11, 15, 20 128:7 129:23 130:4 started 4:12 6:7 8:4 19:5 21:1 28:13 36:4 55:10 82:19 88:22 89:16 95:2 107:15 113:13 119:1 122:23 123:1, 8, 12 starting 10:20 93:15 starts 19:25 120:4 start-up 132:6 state 89:11 statement 97:17 statements 135:8 static 17:2 22:15 35:14 52:20 62:25 63:18 65:7, 11, 18, 22, 24 66:2, 5, 9 67:5, 10, 23 84:8 station 83:3 94:5, 12 115:5 stations 9:2 47:22 49:14 58:14 82:21 83:5 112:9 127:14 129:4 status 21:8 stay 26:4 116:14 stayed 58:8 steal 87:21</p>	<p>Stenographer/Tra nscriptionist 2:12 stenographically 135:10 step 15:10 120:4 121:14 125:24 128:9 stepped 112:16 steps 50:8 122:2 Steve 13:4 104:5 112:5, 7, 10, 11, 16, 19 113:8, 20 Steven 112:4 Steve's 112:17 stiffness 109:12 stock 7:17 stood 56:18 stop 10:25 64:2 stopped 41:25 115:8 stopping 64:4 114:10 117:13 straight 22:10 strange 94:24 street 47:25 49:12, 25 streetcar 47:20, 21 streetcars 50:8 streets 50:14 strictly 9:3 20:6 62:23 101:14 103:2 stronger 26:9 structure 31:6 52:24 struggled 41:9 struggles 107:24 stuff 47:23 102:12 103:10, 12 stumbling 64:17 sturdier 26:9 subcontract 51:20 subcontractor 11:14 12:7 31:7, 11 60:1 75:19 77:22 subcontractors 45:9 92:2</p>	<p>subcontractor's 78:1 subject 82:3 submission 115:1 submit 11:15 14:22 submitted 16:17, 19 27:21 60:20 117:2 122:9 submitting 13:24 subsequently 72:25 subset 67:4 substantial 6:19 23:1 27:20 33:24 56:2, 8 86:18 115:2 subsystems 30:3 Subway 8:10 46:15 47:3 48:15 49:4 sudden 69:1 85:11 95:24 122:22 123:11 sufficient 39:22 81:13 100:2 110:22, 24 115:12 129:18 130:15 sufficiently 37:6 87:25 suitability 94:19 107:16 summary 7:14 summer 63:6 supervisor 8:6 supplied 29:18 33:4 105:22 supplier 11:14 14:6 29:14 44:16 45:5 78:23, 25 91:8, 9 117:24 suppliers 45:3 74:18 101:5 102:19 supply 26:7 29:8, 9 30:16 38:23 40:19 77:4 87:22</p>	<p>115:20 support 116:10 supported 67:16 105:25 106:1 supporting 10:15 supportive 102:6 suppose 31:15 49:24 supposed 108:9 suspicion 40:9 switches 67:18 synonymous 63:16 synopsis 57:21 58:17 system 8:7, 16 9:14, 15 15:19 20:14 33:18, 20 34:11, 17 35:2, 4 36:11 40:24 41:2 44:7 45:10, 15, 21, 23 47:1, 20 49:12 52:5, 21 57:4, 7 63:5 65:19 67:8 76:12 80:12 97:9, 10 103:9, 20 105:3, 13, 16 110:6 112:1, 8 114:17 115:22 117:19 119:21 122:14 124:21 126:5 127:8, 23 128:2 129:1, 6, 13 131:22, 23 132:1, 6, 22 133:5, 18 systems 9:9, 21 16:4 20:7, 11 22:16 34:10 35:16 36:5 39:8 40:4 46:3 65:25 102:11 103:1 114:9 system's 37:5 129:7 system-wide 15:11 < T ></p>
---	--	--	--	---

<p>takes 29:25 30:6 46:6 98:10 108:16 talk 56:2 talked 91:15 131:21 talking 31:20 49:23 110:24 111:22, 23 Tammy 13:6 target 90:8 tasked 86:15 tasks 6:15 team 30:23 32:4 101:11 102:4 tear 25:3 technical 45:24 46:18, 20 54:23 78:3 85:18, 25 124:6 Technically 31:22 95:10 100:8 109:10 133:22 Technician 2:13 technology 39:4 48:1, 6, 9 50:13, 21, 22 51:14 95:14 96:6 97:20 133:24 techs 32:2 temperature 133:20 temperatures 64:6 temporarily 25:24 tend 5:19, 20 terms 10:21 12:22 15:18, 22 20:10, 25 28:21 32:10 33:6 34:20 36:5 38:15 47:2 54:17 57:4, 11, 22 59:4, 5 63:15 75:24 77:15 80:8 83:9 84:15 85:24 86:20 87:18 88:1, 7 90:11 91:18 92:5 93:15, 22</p>	<p>99:5 104:3 105:1 109:6, 19, 21 110:1, 12 113:14 115:12 119:25 122:3, 11 124:6 125:8 129:21 131:23 133:7, 12 Tesla 48:3, 4 test 8:5 15:7 17:7, 19 18:23 19:2, 13 54:11 59:25 60:6, 12 61:17 62:10, 11, 12, 14, 16, 18, 25 63:22, 23 64:24 65:16, 18 66:21 67:18 71:16 84:9, 12, 20 85:5, 7, 16 88:11, 14, 15 104:9, 11 105:10, 18 106:12, 15, 17, 18, 20, 25 107:2, 5, 6, 8, 10, 17, 18, 23 108:10, 22 110:12, 18 111:10, 12 112:17 114:19 115:22 127:19 tested 11:19 12:4, 5 51:10 65:15 74:12 84:19 106:22 testing 6:17 15:2, 3 16:8, 11, 16, 22, 23, 24 17:1, 24, 25 18:12, 21 21:14 22:2, 4, 13, 15, 21 24:20, 21, 22 35:15 52:20 53:24 55:20 59:7, 8, 17, 20, 21, 22, 23 60:10, 18, 19 61:10, 23 62:5, 10, 11, 21 63:8, 9, 13, 14, 18 65:3, 25 66:3, 5 67:12 68:20 73:13 74:23 83:21 84:3, 4, 7, 8, 15, 23, 24 85:10, 12</p>	<p>86:7, 11 88:7, 8, 13, 14 92:9 101:22 103:19, 25 104:2, 23 105:2, 4, 9, 12, 16, 17, 21, 23, 25 106:1, 9 109:24 110:2, 4, 8, 21 111:1, 2, 3, 5, 9, 20, 22, 23, 24 112:5, 8, 10, 13, 14 113:14, 15, 16, 23 122:8 131:14 tests 15:4 16:14, 18 17:2, 3, 4, 9, 12, 15 64:12, 19, 20 65:7, 22 66:10, 13 103:25 104:11, 13, 15, 19, 21 105:8, 11 106:4 108:25 109:14 110:9, 13, 25 112:3, 11, 15, 22, 23 113:4, 8, 19, 21 129:2 Thales 9:19 10:16 14:19, 21 17:24 20:13, 22 21:16 22:3, 13 24:21 34:11, 14 35:8 36:10 37:17, 21 38:13, 18 39:13 40:22, 24 41:1, 12 42:21, 24 45:3, 8, 20 46:25 51:21 53:11, 19 54:2, 3, 10, 16 55:14 65:23, 24 66:4, 13 85:10, 12, 15 103:25 104:2 111:18 112:6 121:6, 7 131:22 132:13 133:18 thermal 63:5 64:5, 6 thick 120:24 thing 6:24 12:13 26:22 69:9 77:16 78:15 94:23 95:11 96:5</p>	<p>97:5 99:4 117:7 131:6 things 9:3 26:14, 18 27:10 35:11, 20 40:3 48:14 49:8, 16 54:18 56:24 57:21 59:10 61:2 64:19, 21 67:7 68:23 74:16 78:15 83:17 84:8, 14 91:2, 4, 5, 13, 14 92:9 93:11 94:1 95:8, 18 97:15 98:11 101:12, 15 102:1 104:4 111:18 115:6 122:23 123:1, 11 129:5, 17 132:5, 12 third 36:13, 20 105:18 thirty-six 7:20 thought 18:18 36:16, 23 107:10 thousand 17:7 19:11, 13 Thunder 97:25 ticking 78:10 79:13 tie 42:2 52:9 tight 97:7 time 4:18 6:14 7:23 15:7 18:3, 7, 10 19:2 21:19 22:6 23:1 24:6, 7 26:1, 18 27:5, 16, 18 28:7 33:23, 24 34:7 35:7, 19 36:15 37:14, 21 45:14 46:5, 6 52:17 55:18 56:16 71:1, 3, 20 72:13 73:25 78:11 79:13, 17 84:6 86:9, 24 90:11 91:5, 6, 14 92:8, 9, 13, 23 94:3 102:1 107:18, 19 109:17, 18</p>	<p>113:2 114:24 115:22 117:1, 13 126:21 127:11, 19 128:12, 21 129:16, 25 130:3 131:6 132:23 133:3 134:3 135:6, 9 timeframe 64:11 88:21 107:3 113:12 timeframes 36:19 timely 91:23 times 28:3 51:7 96:7 115:5, 6 132:11, 13 timing 38:17 115:4 today 34:2 42:19 80:11 89:18 105:13 today's 4:11, 13 told 41:19 79:5 116:10 tolerance 84:14 120:23 tools 95:17, 18 top 44:6 61:20 126:1 topic 98:24 Toronto 37:21 77:25 touched 9:8 10:1 130:25 131:7 tough 130:19 track 9:2 49:4 50:20 103:7 105:5 107:4, 13, 16 109:20 113:9, 10 123:12 127:13 tracked 28:20 tracks 9:17 50:18 traction 30:14, 15 trade 34:17 traffic 49:16 50:14, 15 train 19:16, 22 22:16, 19, 23</p>
--	---	--	--	---

30:8 32:12 34:21, 22 36:21 38:24 39:24 41:1 44:20, 22 45:1, 2, 10 47:1, 2, 3 48:20 49:5 50:5 64:9, 17 65:8, 13 85:10, 13 88:11, 16, 18, 25 95:15 96:7 108:16, 18 111:25 114:9 131:8, 23 trained 96:1, 16 training 17:23 19:3 trains 22:3, 12 25:23 26:24 29:11 30:25 31:1 34:6 65:12 87:4 88:24 91:19 92:6 97:14 102:10 107:20 115:24 128:7 129:12, 16 131:11 transcribed 4:21 transcript 4:22 5:1, 4, 10, 11, 14 46:23 135:12 transfer 27:2, 12 95:13, 16 97:19, 20 transferred 27:9 96:6 transformers 114:3 Transit 31:10 127:12, 17, 18 transition 10:3 121:21 123:7 transitioning 38:15 transmits 75:7 transpired 72:14 Transpo 13:12, 17 17:23 22:1 24:20 130:14 transportation 47:5 124:15 Transpo's 13:9 115:17 travel 51:7	115:6 travelling 107:7 trial 5:25 6:20 23:2 33:25 90:9 114:18 116:4, 11, 18 117:6 118:2, 11, 21, 24 119:1, 5, 8, 9, 18 121:13 127:21 128:11 129:22 130:3 131:15, 16 trip 51:7 115:6 tripping 50:10 troubleshoot 117:23 truly 49:20 trying 29:11 35:15 38:2, 13, 25 39:1, 7 46:12 56:16, 17, 22, 24 79:2 94:9 101:8 102:10 106:19 112:24 tune 132:1 tuned 132:14 tuning 35:19, 23 37:23 46:2 131:22 tunnels 47:22 turn 50:16, 17 67:18, 20, 21 130:24 Turner 116:23 turning 20:5 34:9 43:1 73:22 119:16 turns 50:19 twenty 70:10 71:1 twenty-five 7:20 two-part 66:1 type 8:23 16:16, 18, 24 17:9 47:2, 5, 19 49:12 50:2 59:7 62:5, 9, 11, 12, 18 63:8, 14 88:14 89:22 111:1 112:3 types 59:17, 19, 20 73:13 typical 23:23	27:13 typically 84:2 typos 5:10 < U > ulterior 41:24 ultimate 20:7 100:16 114:19 ultimately 21:11 71:14 76:22 78:8 94:21 121:1 Um 85:3 uncovered 15:24 undercars 67:2 undergo 66:2 77:12 undergoing 88:2 underground 47:22 underneath 48:16 understand 13:11 21:3 46:8, 13 63:17 70:19 71:25 73:23 76:2 88:4 95:6 128:1 understanding 9:11 31:5 73:3 128:14 understood 118:6 undertake 84:25 86:5 undertaken 16:10 65:7 66:22 73:25 86:25 92:23 99:2 Unfortunately 44:9 unique 34:11, 19 46:10 unit 29:24 44:12 75:1, 6, 12 77:4, 20 units 29:16 54:1 74:7 79:7 unsuitable 48:10 updated 120:11 upgrades 19:7 up-to-date 122:7	UTDC 7:22 < V > valid 106:20 validate 15:8 35:15 60:2 64:3 109:14 validated 65:22 validating 10:22 63:14 validation 22:14 63:9 73:13 validations 67:11 valves 74:8, 9 vantage 54:20 variable 40:23 various 8:3 43:13 Vegas 8:23 9:6 vehicle 6:16, 17, 18, 24, 25 8:8 9:1, 4, 15, 21, 22 10:17 12:15, 23, 25 16:7, 15, 23 17:1, 10 18:7, 8, 14 19:12 21:23, 25 23:8, 14, 23 24:6, 7, 11, 23, 24, 25 25:8 28:1 30:4 32:15 34:20 38:14 39:2 43:2, 7, 8 45:5 46:16 47:2, 3, 8, 10, 15, 23 48:12, 17 49:19 50:2, 7, 9, 11, 16 51:2, 9 52:10, 18, 23, 24 53:7 55:14 57:11 62:15, 18, 22 63:1, 3, 22, 24 64:14, 25 65:21, 23 66:25 71:5 73:5 82:23 83:3, 20 85:2, 13 88:15 89:12, 16 94:9 96:11 101:10 103:4, 16 104:3, 21, 23 105:2 106:2 109:6, 11, 12 110:14 111:4 112:10 114:12 115:8	117:12, 15, 20 120:17, 19, 21, 22 121:22 125:16 127:11, 21 134:2 vehicles 10:21, 23 11:9, 13 12:6 17:14, 17, 20, 21, 22 18:2, 5, 17, 22 19:1 21:10, 17, 20 22:4, 7, 22 23:3, 16 24:4, 15, 17, 18 25:9 26:6, 10 28:4 29:16, 18 30:24 32:25 33:22 34:3 36:10, 13 43:22 44:1 53:17 59:5, 6 69:6 70:10, 13 71:2, 13 72:23 73:7, 11, 15, 24 74:11 79:3, 7 80:19 86:18 87:12, 13, 21, 22, 25 88:4 89:8, 15, 17, 18 90:9, 10 92:11, 19 98:20 100:1, 4, 5, 7 101:13, 14 102:10, 16, 24 103:3, 8, 10, 12, 19, 21 105:4 111:24 116:13 117:18 120:7 121:15, 16 123:10 125:2, 6 126:13 127:9, 11, 18 128:23, 24 vendor 29:9 vendors 91:3 verbally 39:4 116:9 verification 17:3 verifications 67:6 versa 38:16 102:7 versions 121:3 versus 25:14 46:11 69:14 vet 11:24 vetted 11:21, 23 vibration 109:1
--	---	--	---	---

<p>vibrations 109:9 Vican 105:19 vice 38:16 102:7 vicious 92:11 96:3 video 4:8 Videoconferenci ng 1:15 view 43:6 51:3 83:11 91:20 94:19 110:20 115:17 128:11 views 128:15 Virtual 2:13 virtue 86:8, 9 visually 66:25 Vitae 3:3 11:3 voice 4:5 volt 30:1, 2 voltage 29:25 volts 30:3</p> <p>< W > Wabtec 75:19 walking 83:5 walks 93:9 walk-throughs 58:12 walkways 49:8 wandering 125:20 wanted 47:18 48:4 59:13 68:15 100:25 111:6 131:6 wants 11:14 48:3 warranty 23:18 27:3, 10, 12, 18, 24 31:18, 20, 21 78:14 watch 31:24 watching 99:14 water 60:7 81:13, 20 waves 114:5 Wayside 57:8 104:3 112:7 wear 25:3 website 5:2 Wednesday 90:5 week 90:7 week-by-week</p>	<p>57:16, 21 90:14 weekend 107:8 weekly 57:13, 16 58:11, 17 74:3 89:25 90:4 93:9 weeks 15:9 122:21 123:10 weighed 120:22 weight 34:21 88:8 120:22 well-established 98:4 wet 56:17 81:20 wheel 123:25 124:23, 24 125:16 131:9, 10, 17, 19 132:15, 20 133:7, 10, 15, 23 wheelchairs 50:12 wheels 125:3 132:22 Wikipedia 43:10 windows 31:1 winter 63:7 132:23 wire 114:4 wiring 52:24 wish 34:2 witness 5:16, 20, 23 witnessed 17:4 word 63:9 words 77:9 work 9:3, 18 20:18 21:7 30:19, 20 31:2, 16, 18, 20, 22, 25 32:6, 7, 11, 16, 18, 20 35:24 44:24 46:2, 7, 10 48:24 49:5 77:24 84:21 87:15 88:16 89:21 93:4, 16, 17, 24 94:6, 7, 11, 15, 22 95:22 99:2, 6, 7, 20 102:18 103:7 117:23 120:2 125:12 127:25 129:13</p>	<p>work-around 26:19 worked 8:4 34:14, 15, 18 46:5 78:24 84:20 workers 32:2, 6 working 15:8 20:19 35:17 39:25 67:7 116:21, 22 122:22 129:10, 14 workmanship 61:2 works 30:23 127:13 world 45:19 103:16 worries 55:17 worth 127:25 wrapped 56:23 write 68:8 writing 39:5 wrong 50:23 73:6 133:4</p> <p>< Y > Yeah 12:17 13:21 48:23 59:1 69:11 72:4 80:21 92:4, 12 93:14 102:13 103:9 104:14 123:13 124:4 128:22 130:7 131:13 year 79:18 98:9, 10 123:22 127:22 years 7:20, 21, 24 8:1, 13, 15 27:19 28:12, 13 48:3 79:18 97:23 98:1, 3 year's 127:25 yesterday 34:2 York 8:10 72:24 73:5, 8 98:3 127:17, 18</p> <p>< Z > Zoom 1:15 4:10</p>
--	--	---