

Ottawa Light Rail Commission

Paul Dooyeweerd
on Friday, May 20, 2022



77 King Street West, Suite 2020
Toronto, Ontario M5K 1A1

neesonsreporting.com | 416.413.7755

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OTTAWA LIGHT RAIL COMMISSION
THALES CANADA INC. - PAUL DOOYEWEERD
MAY 20, 2022

--- Held via Zoom Video Conferencing, with all
participants attending remotely, on the 20th day of
May, 2022, 9:00 a.m. to 11:46 a.m.

1 COMMISSION COUNSEL:

2

3 Christine Mainville, Co-Lead Counsel Member

4 Tara Boghosian, Litigation Counsel Member

5

6 PARTICIPANTS:

7 Paul Dooyeweerd, Thales Canada Ltd.

8 Peter Mantas - Fasken

9 Maria Braker - Fasken

10

11 ALSO PRESENT:

12

13 Janet Belma, Official Court Reporter

14 Chris Delic, Virtual Technician

15

16

17

18

19

20

21

22

23

24

25

I N D E X

WITNESS: PAUL DOOYEWEERD

Examination by Christine Mainville.....6

The following list of undertakings, advisements and refusals is meant as a guide only for the assistance of counsel and no other purpose

INDEX OF UNDERTAKINGS

The questions/requests undertaken are noted by U/T and appear on the following pages: None

INDEX OF ADVISEMENTS

The questions/requests taken under advisement are noted by U/A and appear on the following pages: None

INDEX OF REFUSALS

The questions/requests refused are noted by R/F and appear on the following pages: None

1 -- Upon commencing at 9:00 a.m.

2 CHRISTINE MAINVILLE: So,
3 Mr. Dooyeweerd, the purpose of today's interview is
4 to obtain your evidence under oath or solemn
5 declaration for use at the Commission's Public
6 Hearing. This will be a collaborative interview
7 such that my co-counsel, Ms. Boghosian, may
8 intervene to ask certain questions. If time
9 permits, your counsel may also ask follow-up
10 questions at the end of the interview.

11 The interview is being transcribed, and
12 the Commission intends to enter the transcript into
13 evidence at the Commission's Public Hearings either
14 at the hearings themselves or by way of procedural
15 order before the hearings commence.

16 The transcript will be posted to the
17 Commission's public website along with any
18 corrections made to it after it is entered into
19 evidence. And the transcript will be shared with
20 the Commission's participants and their counsel on
21 a confidential basis before being entered into
22 evidence.

23 You will be given the opportunity to
24 review your transcript and correct any typos or
25 other errors before the transcript is shared with

1 the participants or entered into evidence. Any
2 non-typographical corrections made will be appended
3 to the transcript.

4 And Pursuant to Section 33(6) of the
5 Public Inquiries Act, 2009, a witness at an inquiry
6 shall be deemed to have objected to answer any
7 question asked of him upon the ground that his
8 answer may tend to incriminate the witness or may
9 tend to establish his liability to civil
10 proceedings at the instance of the Crown or of any
11 person. And no answer given by a witness at an
12 inquiry shall be used or be receivable in evidence
13 against him in any trial or other proceedings
14 against him thereafter taking place other than a
15 prosecution for perjury in giving such evidence.

16 And as required by Section 33(7) of the
17 Act, you are advised that you have the right
18 to object to answer any question under Section 5
19 of the Canada Evidence Act.

20 Okay. I don't think we have had anyone
21 else join, so, Peter, if you'd be kind enough to
22 swear or affirm the witness.

23 PETER MANTAS: Thank you, counsel. Can
24 you hear me, Mr. Dooyeweerd?

25 PAUL DOOYEWEERD: I can.

1 PETER MANTAS: Mr. Dooyeweerd, do you
2 affirm that the answers that you will give at your
3 examination today will be the truth, the whole
4 truth, and nothing but the truth?

5 PAUL DOOYEWEERD: I do.

6 AFFIRMED: PAUL DOOYEWEERD.

7 PETER MANTAS: Thank you. And just one
8 more point, Mr. Dooyeweerd. If you have a need for
9 a break at some point, we'll take a regular one at
10 some point, but if you do need a break, just let
11 Ms. Mainville know.

12 PAUL DOOYEWEERD: Okay.

13 PETER MANTAS: Thank you.

14 CATHERINE MAINVILLE: Thank you. So if
15 we could start by having you explain your role or
16 involvement in Stage 1 of Ottawa's LRT project.

17 PAUL DOOYEWEERD: Okay. My role on the
18 project is Project Design Authority. I'm -- the
19 lead technical engineer for the project, primary
20 point of contact for all technical issues with the
21 customer and external subcontractors, mostly
22 responsible for review and approval of all internal
23 designs ensuring that the system meets all
24 requirements.

25

1 CATHERINE MAINVILLE: And do I
2 understand that you were involved since the bid
3 phase on this project.

4 PAUL DOOYEWEERD: Yes, I started
5 probably about a year before the bid was awarded --
6 the contract was awarded.

7 CATHERINE MAINVILLE: Sorry. I missed
8 that.

9 PAUL DOOYEWEERD: About a year before
10 the contract was awarded was when I came on.

11 CATHERINE MAINVILLE: Okay. And are
12 you still involved.

13 PAUL DOOYEWEERD: Yes.

14 CATHERINE MAINVILLE: So you've been
15 there through the life of the project.

16 PAUL DOOYEWEERD: Correct.

17 CATHERINE MAINVILLE: And could you
18 tell us a bit about your experience and background.
19 I take it you're an engineer.

20 PAUL DOOYEWEERD: I am an engineer,
21 yes. I have a degree in electrical engineering
22 from the University of Toronto, spent the first
23 couple of years of my working life at
24 Litton Systems working in various military
25 programs.

1 Then I moved to a company called
2 Atlantis Aerospace. I was there for 15 years.
3 That was primarily maintenance trainers for
4 military and commercial flight simulators. And
5 then in 2004, I came to Thales into the Systems
6 Engineering Group.

7 2009, I became what at the time was
8 called a principal system engineer, roughly the
9 equivalent of a Project Design Authority. So I've
10 been in my current role for 13 years.

11 CATHERINE MAINVILLE: I don't think we
12 have your resume. I just want to confirm that.

13 PETER MANTAS: Maria, please go ahead.
14 I think you have the answer to that. We --

15 MARIA BRAKER: Can we go off the
16 record?

17 (DISCUSSION OFF THE RECORD)

18 CHRISTINE MAINVILLE: So did you have
19 any involvement in the industry consultations on
20 this project?

21 PAUL DOOYEWEERD: No.

22 CATHERINE MAINVILLE: And so about a
23 year before the contract was awarded, what was
24 Thales' involvement in terms of seeking or putting
25 forward any sort of bid in respect of this project.

1 COURT REPORTER: Ma'am, you're cutting
2 out a bit for me. I'm sorry. At the end, you were
3 trailing off.

4 CATHERINE MAINVILLE: In terms of
5 putting forward any sort of bid for this project.

6 PAUL DOOYEWEERD: I can speak to my
7 role during the bid stage. The design authority
8 and the engineering team is largely inwardly
9 focused during the bid stage, very little contact
10 with -- with the customer.

11 Our goal is to go through the contract,
12 understand the contract, determine which aspects of
13 the requirements are satisfied by our product and
14 which aspects will require the development of -- of
15 new features. We work up estimates for those new
16 features, identify risks, and basically come up
17 with a cost for the system.

18 CATHERINE MAINVILLE: And can you tell
19 me what you recall of the requirements on this
20 project that were pertinent to Thales.

21 PAUL DOOYEWEERD: It was primarily --
22 came from the -- the project agreements. I think
23 it was Schedule 15 Part 4 Article 5.

24 CATHERINE MAINVILLE: Let me ask you
25 this: Were there any that were -- any requirements

1 of particular note for Thales in respect of this
2 project.

3 COURT REPORTER: You cut out at the end
4 again, ma'am. Of particular note for Thales --

5 CATHERINE MAINVILLE: For Thales in
6 respect of this project.

7 Is my audio good enough? Should I
8 be --

9 COURT REPORTER: It is, and then you
10 just trail right off.

11 PETER MANTAS: Yes. I think what's
12 happening, Christine, is your audio's good, but
13 sometimes, if you're just looking at your other
14 screen just to look at a doc, it just goes silent
15 on you.

16 CHRISTINE MAINVILLE: I'll try to keep
17 my head up.

18 PETER MANTAS: The perils of doing an
19 online examination or the challenges, right?

20 CHRISTINE MAINVILLE: Okay. Do you
21 have my question.

22 PETER MANTAS: Yes. We hear you well.
23 When you're in this kind of position, you seem
24 fine. Just if you just ask that question again,
25 Christine, because I don't think it came out

1 clearly.

2 CHRISTINE MAINVILLE: I think it was
3 about, as far as I recall, whether there were any
4 requirements of particular note that were
5 noteworthy for you or for the team.

6 PAUL DOOYEWEERD: I would -- I would
7 say no.

8 CATHERINE MAINVILLE: And you said you
9 will assess what requires the development of new
10 features. Were there any of note on this project.

11 PAUL DOOYEWEERD: Nothing of note.
12 Every customer has features they want that aren't
13 satisfied by the product, as it is, but there's
14 nothing -- nothing earth-shattering, no.

15 CATHERINE MAINVILLE: Nothing that you
16 saw or Thales felt entailed significant risk.

17 PAUL DOOYEWEERD: No.

18 CATHERINE MAINVILLE: Do you recall
19 that the speed to be met here was a hundred
20 kilometers an hour.

21 PAUL DOOYEWEERD: My recollection was
22 the -- the maximum speed was to be 90 operating
23 speed.

24 CATHERINE MAINVILLE: And would that be
25 standard.

1 PAUL DOOYEWEERD: That's fairly
2 typical, yeah.

3 CATHERINE MAINVILLE: For an LRT.

4 PAUL DOOYEWEERD: It's quite standard
5 for heavy metro --

6 CATHERINE MAINVILLE: Right.

7 PAUL DOOYEWEERD: -- that similarity as
8 well, yes.

9 CATHERINE MAINVILLE: You don't know
10 for certain? Or...

11 PAUL DOOYEWEERD: No.

12 CATHERINE MAINVILLE: Do you recall the
13 City's need to move a certain number of people per
14 hour and having a fairly high-capacity requirement.

15 PAUL DOOYEWEERD: I do. We had several
16 discussions about capacity requirements.
17 Signalling is a contributor to capacity
18 requirement. It's -- it's a combination of how
19 many passengers the train can hold, which has
20 nothing to do with signalling, and the frequency at
21 which you can push trains through the system which
22 is to some extent influenced by signalling.

23 CATHERINE MAINVILLE: And was that, in
24 this particular case, a fairly demanding feature of
25 the requirements? So in terms of the frequency at

1 which you...

2 PAUL DOOYEWEERD: No. The -- the way
3 the specification was written, they -- they defined
4 what -- what they call the minimum headway, so
5 that's the -- the minimum interval between trains
6 which is what signalling needs to target. And we
7 didn't see an issue meeting that.

8 Now, in that there's an assumption that
9 the trains are actually large enough to carry
10 enough passengers that at that frequency you get
11 the required throughput.

12 So the question of capacity in terms of
13 passengers per hour per direction is really a
14 system integration requirement, and it requires
15 various subsystems to meet their respective
16 requirements to meet the overall capacity
17 requirement.

18 CATHERINE MAINVILLE: Right. And does
19 it require integration as between those two --
20 maybe you could explain that a bit. Is it just
21 that it's not only a matter of the signalling
22 system; it's also a matter of the train capacity,
23 or are you saying it's more than that? It also
24 has --

25 PAUL DOOYEWEERD: It's more than that.

1 It also comes down to the guideway design. Every
2 curve has a speed limit. Every speed limit is
3 going to introduce constraints on performance. It
4 also depends on the train how -- how well does it
5 accelerate. Deceleration normally isn't an issue,
6 but acceleration can certainly impact the interval
7 between trains.

8 It's also a function of how -- how
9 strong the emergency brakes are on the train. The
10 stronger the emergency brakes are, the closer you
11 can run trains and not risk collision, so there are
12 a number of factors that -- that work into it.

13 CATHERINE MAINVILLE: Right. So maybe
14 we could just deal with this aspect of the project
15 first. Over the course of the design and build and
16 start of operations, were there challenges on this
17 front in terms of that integration.

18 PAUL DOOYEWEERD: I think the only
19 challenges that we had really centred around
20 getting speed limit data for the -- the track and
21 also getting performance data for the trains.

22 CATHERINE MAINVILLE: And so to start
23 with the first one, the -- the speed limit data,
24 who would that -- who would be providing you with
25 that data.

1 PAUL DOOYEWEERD: Well, all of the data
2 that we got came from ORLTC constructors. They
3 would have got it from their track designer.

4 CATHERINE MAINVILLE: So that one at
5 base, would have been provided to ORLTC by the
6 engineering joint venture, RTGJV, if you're aware.

7 PAUL DOOYEWEERD: If -- if they were
8 the track designers. I'm not sure who the track
9 designers were.

10 CATHERINE MAINVILLE: And the
11 performance data, would that originate from Alstom.

12 PAUL DOOYEWEERD: Yes.

13 CATHERINE MAINVILLE: And you said all
14 of that information flowed through ORLTC. Do you
15 know why there were challenges in providing that
16 data to Thales.

17 PAUL DOOYEWEERD: I -- I recall it took
18 a little while to get finalized track data, and
19 speed limit data had changed a few times. And then
20 with the train, I think the -- the one issue that
21 took a while to resolve was what the emergency
22 brake rate was, what we call the guaranteed
23 emergency brake rate.

24 And it was with respect to single LRVs.
25 The coupled LRV was -- was never really an issue.

1 But the single LRV, the guaranteed emergency brake
2 rate was too low to -- for us to be able to meet
3 the -- the headway requirements.

4 CATHERINE MAINVILLE: So maybe you can
5 explain what that means in terms of the -- how that
6 works, the emergency brake rate and how it impacts
7 the headway requirements.

8 PAUL DOOYEWEERD: Okay. Well, the
9 headway is a measure of how -- how much space there
10 is between trains. If you want a lower headway,
11 your trains have to run close together.

12 What the signalling system needs to do
13 is account for a situation where you have what we
14 call a worse-case run away propulsion failure.
15 It's where you have an empty train, and all of a
16 sudden, full thrust is applied. Some failure
17 causes it to run away.

18 When we detect that condition, the
19 signalling system has to vitally disable the
20 propulsion on the train, vitally command the
21 emergency brakes to apply. And then once the
22 emergency brakes kick in, there's a certain
23 guaranteed deceleration rate that we will get. And
24 from that, you can figure out how much distance is
25 required to stop the train.

1 So your minimum separation between
2 trains has to be greater than that calculated
3 distance.

4 CATHERINE MAINVILLE: Right.

5 PAUL DOOYEWEERD: So the -- the lower
6 the deceleration rate of the train, the bigger the
7 gap needs -- needs to be between trains to ensure
8 safety.

9 CATHERINE MAINVILLE: Right. And am I
10 right that the -- the way that ultimately what
11 Thales produced to meet the requirements was a
12 fairly -- I shouldn't use the word aggressive -- --
13 but strong acceleration rate and deceleration rate
14 but little, if any, coasting in between? Is
15 that like splitting the (INDISCERNIBLE) --

16 PAUL DOOYEWEERD: Yeah. No, we -- we
17 don't typically coast. You accelerate up to
18 whatever the -- the track speed is, and -- and, you
19 know, if you're approaching a curve that has a
20 reduced speed, you have to break into the curve,
21 get down to the -- the curve speed, but we're
22 always trying to run the trains at the maximum
23 speed attainable, and that's how you get your best
24 performance.

25 CATHERINE MAINVILLE: Okay. So that's

1 typical for all --

2 PAUL DOOYEWEERD: M-hm.

3 COURT REPORTER: I missed the end of
4 that, ma'am.

5 CATHERINE MAINVILLE: That's typical
6 for all projects. And you said yes.

7 PAUL DOOYEWEERD: Yes.

8 CATHERINE MAINVILLE: So you don't --
9 so you break into a curve, and you don't typically
10 provide coasting on Thales' signalling tests.

11 PAUL DOOYEWEERD: There is a coasting
12 feature which can be enabled, but it needs to be
13 understood that when you do that, your trip times
14 increase. Your capacity decreases. You can't get
15 as many passengers through the system. That is an
16 option that we provide as part of our product.

17 CATHERINE MAINVILLE: And does that
18 lead to more emergency braking as well, that --

19 PAUL DOOYEWEERD: No. No.

20 CATHERINE MAINVILLE: Does there need
21 to be some change in the speed profiles based on
22 inclement weather or wet rail.

23 PAUL DOOYEWEERD: We do have a feature
24 where you can reduce the acceleration and braking
25 rates. It's operator selectable in inclement

1 weather. Yes, they can -- they can reduce those
2 rates.

3 CATHERINE MAINVILLE: And that's -- am
4 I right that that is a setting as opposed to
5 something the train operator would do?

6 PAUL DOOYEWEERD: The central operator
7 would do that.

8 CATHERINE MAINVILLE: And I take it
9 that's specified somewhere --

10 PAUL DOOYEWEERD: No. No, it's not.
11 It's a feature of our system. There's nothing
12 specified.

13 CATHERINE MAINVILLE: What I mean is,
14 is it written down somewhere?

15 PAUL DOOYEWEERD: Oh, yeah. It would
16 be described in our -- in our design documentation.

17 CATHERINE MAINVILLE: Which would be
18 provided to -- would it be provided to the
19 operator.

20 PAUL DOOYEWEERD: Yes. The operators
21 would have the user manuals, and there is a
22 description of that feature in there.

23 CATHERINE MAINVILLE: Okay. Am I right
24 that the -- under the contract, there was a
25 guaranteed speed or travel time for the different

1 trips.

2 PAUL DOOYEWEERD: Yes. There was an
3 end-to-end travel time specified.

4 CATHERINE MAINVILLE: And that -- that
5 was not dependent on weather.

6 PAUL DOOYEWEERD: No.

7 CATHERINE MAINVILLE: And why wouldn't
8 the contract provide for different guaranteed
9 travel time depending on inclement weather.

10 PAUL DOOYEWEERD: You would have to ask
11 the City.

12 CATHERINE MAINVILLE: Well, would that
13 make sense to you that it should be lowered --

14 PAUL DOOYEWEERD: I've -- I've honestly
15 not typically seen that. They -- they typically
16 just specify an end-to-end trip time assuming a
17 sunny day, best case.

18 CATHERINE MAINVILLE: But typically,
19 you'd agree that trains should be travelling slower
20 to some extent depending...

21 PAUL DOOYEWEERD: I think it really
22 depends on the train. Some -- some trains are less
23 likely to lose adhesion in inclement weather
24 than -- than others.

25 LRVs are relatively lightweight, so I

1 would expect that they would lose traction a little
2 more easily.

3 CATHERINE MAINVILLE: And what about in
4 the winter? Does it need to travel at a different
5 speed to some extent.

6 PAUL DOOYEWEERD: Again, that's --
7 that's really a question for the rolling stock
8 supplier. With our system, you can reduce the
9 acceleration of braking rates if the adhesion is
10 poor.

11 CATHERINE MAINVILLE: But the -- am I
12 right that the guaranteed travel time under the
13 contract, is it a requirement that Thales has to
14 meet or both.

15 PAUL DOOYEWEERD: No. That -- a
16 requirement like that is really a requirement the
17 system integrator needs to meet because the travel
18 time is -- is dependent on how well the train
19 accelerates, what the speed limits are on the
20 guideway, how the signalling system controls the
21 train, how well the train brakes. The -- it's
22 an -- it's an integrated responsibility.
23 Signalling's part of it. The rolling stock's part
24 of it, and the track is part of it.

25 CATHERINE MAINVILLE: So what level of

1 planning needs to take place for -- you know, early
2 on to know whether you're able to meet -- whether
3 the -- so that the integrator knows whether it's
4 able to meet these requirements.

5 PAUL DOOYEWEERD: Well, ideally, the
6 system integrator would -- would sit down and --
7 and take that high-level requirement and break it
8 down at the lower-level requirements. And you'd
9 have a set of requirements for the track designer,
10 a set of requirements for the rolling stock
11 supplier, a set of requirements for the signalling
12 supplier. And if all of those subcontractors meet
13 those particular requirements when you bring them
14 all together, you meet your end-to-end trip time.

15 CATHERINE MAINVILLE: Do you know if
16 this happened in this case.

17 PAUL DOOYEWEERD: I don't believe it
18 did.

19 CATHERINE MAINVILLE: And so can we
20 talk about that a bit, the systems integration on
21 the project. Did you perceive -- you know, Thales,
22 perceive gaps in that respect.

23 PAUL DOOYEWEERD: Sorry. Could you
24 repeat the question.

25 CATHERINE MAINVILLE: Yes. In terms of

1 the systems integration on the project, maybe you
2 can speak to your views about how that proceeded
3 and if you saw that -- you or Thales perceived
4 gaps.

5 PAUL DOOYEWEERD: I would have to say
6 relative to other projects I worked on, yes,
7 there -- there were certainly gaps.

8 CATHERINE MAINVILLE: Can you give me
9 some sense of that or examples of where you would
10 have expected to be more focused on integration
11 perhaps and --

12 PAUL DOOYEWEERD: Yeah.

13 COURT REPORTER: Ma'am, you just
14 completely lost me at the end. To be more focus --

15 CATHERINE MAINVILLE: More focused
16 where you would have expected more focus on
17 integration and --

18 PAUL DOOYEWEERD: Yeah. I think
19 earlier on in the project, one of the -- the key
20 roles of -- of a system integrator is -- is to
21 really specify in more detail requirements
22 particular to each subcontractor.

23 If you look at the project agreement,
24 there's a lot of high-level requirements about what
25 the overall integrated system is supposed to do.

1 And in order to meet those requirements, each of
2 the subcontractors have to meet lower-level
3 requirements that, when you pull all of them
4 together and put all the subsystems together, you
5 meet the higher-level requirement. And it -- there
6 didn't seem to be lot of that happening.

7 I know early -- early in the project
8 when we first started and we started to have
9 meetings with Alstom, as that is one of our primary
10 interfaces, the only attendee from ORLTC was a
11 contract manager, so there was no technical
12 presence at all.

13 CATHERINE MAINVILLE: Did you
14 understand why that was.

15 PAUL DOOYEWEERD: No.

16 CATHERINE MAINVILLE: Let me ask you
17 this: Did you or Alstom ask about bringing in
18 someone else or where the technical person was.

19 PAUL DOOYEWEERD: I -- it was a long
20 time ago. I don't recall specifically, but I do
21 recall that they recognized the -- the need, and
22 they did hire shortly after.

23 CATHERINE MAINVILLE: And is that when
24 Mr. Bergeron came in.

25 PAUL DOOYEWEERD: Mr. Bergeron was a

1 little bit later. I don't recall when he came in.

2 CATHERINE MAINVILLE: It would have
3 been in 2014.

4 PAUL DOOYEWEERD: Early 2014, I think,
5 yes.

6 CATHERINE MAINVILLE: So there was
7 someone before him.

8 PAUL DOOYEWEERD: They did hire a
9 couple of people, yes.

10 CATHERINE MAINVILLE: And did that
11 solve the issue, or were there still some gaps.

12 PAUL DOOYEWEERD: I would say, no, it
13 did not, didn't really resolve the issue.

14 CATHERINE MAINVILLE: And why is that.

15 PAUL DOOYEWEERD: Not enough
16 experience, and if you're going to be system
17 integrator, you better have a lot of experience.

18 CATHERINE MAINVILLE: And I take it
19 you're speaking of integration not only at the
20 rolling stock and signalling system level but more
21 broadly.

22 PAUL DOOYEWEERD: Correct.

23 CATHERINE MAINVILLE: And was there a
24 gap also on the rolling stock and signalling system
25 integration.

1 PAUL DOOYEWEERD: I would have to say
2 it did not go as smoothly as I had seen it go on
3 other projects.

4 CATHERINE MAINVILLE: Is that primarily
5 by virtue of the fact that there wasn't a technical
6 systems integrator at least early on in the project
7 or someone with sufficient experience overseeing
8 it.

9 PAUL DOOYEWEERD: Well, I think -- I
10 think Jacques Bergeron was certainly experienced
11 enough to oversee it. I -- I think the -- in
12 retrospect, the challenge was that we did not
13 understand everything that we needed to know about
14 the trains.

15 So once we put the system together and
16 started running trains, we discovered things that
17 were unknown. And it's -- it's important for the
18 system integrator to review the designs submitted
19 by the rolling stock suppliers, review the designs
20 submitted by the signalling supplier, and ensure
21 that the rolling stock supplier is aware of
22 anything particular to the signalling design that
23 they would need to know and vice versa.

24 And in order to do that, you -- you
25 have to really understand how the two systems are

1 supposed to interact.

2 CATHERINE MAINVILLE: And the train
3 started running -- like, when would you say you
4 started noticing these issues after the train
5 started running? Is this 2018 or before.

6 PAUL DOOYEWEERD: I -- I couldn't put a
7 date on it.

8 CATHERINE MAINVILLE: Wasn't it -- let
9 me ask you it this way: Do you know whether
10 Mr. Bergeron was still on the file.

11 PAUL DOOYEWEERD: I believe he was,
12 yeah.

13 CATHERINE MAINVILLE: And given that he
14 had to your understanding the level of experience
15 required, what explains that that didn't fully
16 happen, this integration between the signalling
17 system --

18 COURT REPORTER: Sorry. This
19 integration?

20 CATHERINE MAINVILLE: Why it didn't
21 fully happen before the train started running. I
22 may have said the integration between the rolling
23 stock and the system.

24 PAUL DOOYEWEERD: All I can give is an
25 opinion. I think that there were too many issues

1 for one person to handle.

2 CATHERINE MAINVILLE: So not enough
3 resources or focus on integration --

4 PAUL DOOYEWEERD: Correct.

5 CATHERINE MAINVILLE: -- by ORLTC.

6 Sorry. You have to say it for the record instead
7 of nodding. Yes.

8 PAUL DOOYEWEERD: Yes.

9 CATHERINE MAINVILLE: And then in terms
10 of -- well, let's continue on this point for a
11 minute. There were issues observed, integration
12 issues observed when the train started running.

13 Did those continue on through 2109? I
14 take it you would identify an issue, resolve it,
15 but there may have been other issues that would
16 arise? Is that fair to say?

17 PAUL DOOYEWEERD: Yeah, it's not
18 unusual. You're going to run into issues
19 certainly. There were -- there were a series of --
20 of issues.

21 CATHERINE MAINVILLE: Could you give me
22 some example of the kind of issue that relates to
23 insufficient integration between the rolling stock
24 and the signalling system that arose.

25 PAUL DOOYEWEERD: I think the -- the

1 biggest one I -- I recall was something that hit
2 right when we went to revenue service. Our onboard
3 controller, which we call the VOBC, was
4 periodically reporting that it had lost
5 communications with the rolling stock TCMS which is
6 the main brain for the train.

7 So what was happening was the -- the
8 TCMS was -- as I understand it, it was halting, and
9 the train would become disabled.

10 CATHERINE MAINVILLE: And what is the
11 TCMS --

12 PAUL DOOYEWEERD: I believe it's Train
13 Control and Management System. I'm not sure. It's
14 an Alstom system, but it's their main computer.

15 CATHERINE MAINVILLE: Software.

16 PAUL DOOYEWEERD: Yeah.

17 CATHERINE MAINVILLE: Alstom software.

18 And it was -- it would lose communication with --

19 PAUL DOOYEWEERD: With our system.

20 CATHERINE MAINVILLE: And so the trains
21 then just stopped running.

22 PAUL DOOYEWEERD: Yeah. They
23 wouldn't -- they wouldn't operate.

24 CATHERINE MAINVILLE: And how long does
25 it take to fix that on a particular train when it

1 happens.

2 PAUL DOOYEWEERD: I -- I don't know.
3 They -- they would have to reset their -- their
4 system.

5 CATHERINE MAINVILLE: And so you said
6 that arose right when it went into revenue service.
7 Do you mean service operations with the public.

8 PAUL DOOYEWEERD: Yes. In September
9 2019.

10 CATHERINE MAINVILLE: So that arose in
11 September. Do you know how long it took to fix
12 that, or was there a permanent fix to it.

13 PAUL DOOYEWEERD: There was a permanent
14 fix. I -- I don't recall when it was permanently
15 fixed.

16 CATHERINE MAINVILLE: And do you recall
17 any later issues during service, later breakdowns,
18 or other problems that the trains were experiencing
19 that relate to an integration issue.

20 PAUL DOOYEWEERD: The only -- I'm sure
21 there were a few. The -- another one I remember
22 was if -- if the signalling applies the emergency
23 brake for whatever reason, the train will stop. If
24 we determine that the condition that led to the
25 emergency brake application is no longer -- no

1 longer exists, we will release the emergency brakes
2 and then command the train to move.

3 And what we found at some times is the
4 train just wouldn't move. So it turned out that in
5 some conditions, it could take up to six seconds
6 for the emergency brakes to be reset -- and how do
7 I put this? There -- there are conditions where we
8 would have to wait up to six seconds after
9 releasing emergency brakes before trying to move
10 the train.

11 That was not always the case, but
12 sometimes that is the case. So we -- we had to
13 modify our software to wait an additional six
14 seconds after the release of EB before we try and
15 move the train.

16 CATHERINE MAINVILLE: And so how did
17 that manifest itself, let's say,
18 from (INDISCERNIBLE) to the trains would be --

19 COURT REPORTER: I'm sorry, ma'am.
20 That's hard to understand what you're saying. I
21 wonder if the other ladies could actually mute
22 their videos. Just, it might help. I don't know.

23 Sometimes, you just trail off at the
24 end, and it's very difficult.

25 CATHERINE MAINVILLE: It must be WebEx.

1 COURT REPORTER: Yes, WebEX is
2 different than Zoom, and it's just you, and I'm not
3 sure why. The witness is fine. Sorry. I'm very
4 sorry.

5 CATHERINE MAINVILLE: And so, yes, I
6 was asking how that manifests itself if it would be
7 a train that stalls for some period of time.

8 PAUL DOOYEWEERD: Sorry. Could you
9 repeat that last part.

10 CATHERINE MAINVILLE: If -- if it would
11 be like a stalled train for some period of time.
12 Is that how a passenger might experience it, for
13 instance, some delay or...

14 PAUL DOOYEWEERD: It would be a delay.
15 It would be a relatively short delay. What would
16 happen is we would try and move the train, and
17 signalling has a supervision in it. If we command
18 a train to move and the train fails to move 1 meter
19 in nine seconds, we will emergency brake the train
20 and drop an alarm for a -- what we call an motion
21 obstruction, so it introduces a bit of a delay, but
22 it's not -- I wouldn't say it's something
23 passengers would necessarily notice. It's a few
24 seconds.

25 CATHERINE MAINVILLE: Do you happen to

1 know in terms of well -- sorry. Did this one
2 engage the reset? Did the system have to be reset?
3 Or --

4 PAUL DOOYEWEERD: No. No. No. No.

5 CATHERINE MAINVILLE: It would just,
6 then, start, correct.

7 PAUL DOOYEWEERD: Correct.

8 CATHERINE MAINVILLE: What about the
9 door issues that were experienced after revenue
10 service? Would that have anything to do with
11 Thales' system.

12 PAUL DOOYEWEERD: You mean the doors
13 jamming? That -- that had nothing to do with us,
14 no.

15 CATHERINE MAINVILLE: Or an integration
16 issue.

17 PAUL DOOYEWEERD: No.

18 CATHERINE MAINVILLE: And do you recall
19 your vision issues when -- I think perhaps around
20 the trial running shortly before revenue service
21 there were issues with -- involving the CCTV and --
22 and the rear vision. Is it -- would that have come
23 to your attention.

24 PAUL DOOYEWEERD: No. That's not a --
25 not a signalling issue.

1 CATHERINE MAINVILLE: Now, maybe if we
2 go back to the broader integration issue, so the
3 guideway and the infrastructure, were there --
4 well, let's start with the gaps there.

5 Could you have expected the same
6 systems integrator to be in charge of that
7 integration and the rolling stock integration? In
8 other words, is it two different roles, someone
9 looking after the rolling stock and signalling
10 system integration and someone looking at the
11 broader integration on the project, or would it
12 normally be all overseen by the same people --

13 PAUL DOOYEWEERD: Sorry. I'm not sure
14 I understand the question.

15 CATHERINE MAINVILLE: So my
16 understanding is there's quite a bit of work to be
17 put into the integration between the rolling stock
18 and the signalling system. Is that fair to say.

19 PAUL DOOYEWEERD: That's fair to say.

20 CATHERINE MAINVILLE: So normally, is
21 that -- is there a systems integrator, one or more
22 persons in that role, but looking after that aspect
23 of the project, and a systems integrator looking at
24 the broader integration? Or are all these people
25 supposed to be working together.

1 PAUL DOOYEWEERD: Well, the system
2 integrator should be working on the entire system.
3 Now, you may have people assigned specifically to
4 manage the interface between signalling and the
5 rolling stock or signalling and the passenger
6 information display. It really depends how the
7 system integrator wants to arrange themselves.

8 But ultimately, they are responsible
9 for making sure that all of the subsystems come
10 together and work as an integrated system to meet
11 the end requirements.

12 CATHERINE MAINVILLE: And we discussed
13 how you would attend meetings with Alstom and to
14 work on the integration with the rolling stock.
15 When I say you, I mean Thales would attend.

16 And eventually, Mr. Bergeron came on,
17 and am I right that he was mostly focused on the
18 rolling stock integration?

19 PAUL DOOYEWEERD: Correct. I think he
20 was actually maybe more focused on the rolling
21 stock itself.

22 CATHERINE MAINVILLE: Okay. So not --

23 PAUL DOOYEWEERD: He -- he did look at
24 signalling as well.

25 CATHERINE MAINVILLE: So on making the

1 trains ready.

2 PAUL DOOYEWEERD: Correct. Because the
3 train itself, if you put signalling aside, the
4 train itself has a number of subsystems all
5 provided by subcontractors that Alstom would get
6 components from, and those all need to be
7 integrated. So that integration would be done by
8 Alstom, but it would be overseen by the
9 higher-level system integrator.

10 CATHERINE MAINVILLE: So even during
11 his time there, there were gaps in terms of looking
12 at integrating the signalling system with the
13 rolling stock.

14 PAUL DOOYEWEERD: Yeah. I would -- I
15 would have to say there were some gaps, yeah. And
16 it's not unusual. You are going to discover things
17 after you put things together. I think it's --
18 what is a little bit unusual is you find things
19 after you've gone to revenue service.

20 CATHERINE MAINVILLE: And in terms of
21 just sticking for a moment with the broader
22 integration, then, was there anyone in that role
23 given that I take it Mr. Bergeron was mostly
24 looking at rolling stock -- was there anyone or did
25 you -- who did you engage with on the integration

1 with the infrastructure, the guideways, and broader
2 integration issues, if any.

3 PAUL DOOYEWEERD: That was pretty much
4 all Mr. Bergeron.

5 CATHERINE MAINVILLE: And so did that
6 gap, as I understand your evidence to be, that
7 there wasn't sufficient attention to this broader
8 integration, correct -- to the overall integration
9 of the various systems.

10 PAUL DOOYEWEERD: I would say that's
11 my -- my impression.

12 CATHERINE MAINVILLE: Okay. Well, did
13 this manifest itself in any way? Did this have
14 implications? You know, you spoke about the
15 implications, some examples of integration issues
16 with the rolling stock.

17 In terms of broader integration,
18 issues, did that manifest itself in any way in the
19 course of the project?

20 PAUL DOOYEWEERD: I think it generally
21 just took us longer to get to the end. Yeah, we --
22 we didn't have a lot of other systems to integrate
23 with. Rolling stock is the big one. We also had
24 to integrate with the SCADA system and the -- the
25 wayside passenger information system. Those are

1 relatively simple interfaces. That was supplied by
2 a company that we have worked with before, so we
3 know how each other works. We -- we used a
4 protocol that we're both familiar with.

5 CATHERINE MAINVILLE: Which company was
6 that?

7 PAUL DOOYEWEERD: Willowglen.

8 CATHERINE MAINVILLE: And you mentioned
9 earlier that there were challenges getting the
10 speed limit data for the track from the track
11 design.

12 PAUL DOOYEWEERD: Well, I think it took
13 a while to get finalized data. It -- it changed.

14 CATHERINE MAINVILLE: And --

15 PAUL DOOYEWEERD: And also, I think
16 just getting the integrator to understand what it
17 is we really needed. What we need is the -- the
18 speed at -- the absolute speed limit for the track,
19 the maximum safe speed, and then we will back off
20 the operating speed a certain margin below that to
21 ensure that no matter what happens, you never
22 exceed that maximum safe speed.

23 CATHERINE MAINVILLE: In terms of your
24 comment about it being unusual that these issues
25 would manifest themselves after revenue service,

1 could you speak to, aside from the issues we've
2 already discussed, what may have enabled this to
3 occur? For instance, you know, was the testing and
4 commissioning phase sufficient? Was there
5 sufficient dynamic testing, and so forth.

6 PAUL DOOYEWEERD: That -- that's
7 something that -- it's difficult to answer because
8 I don't really know when the problem introduced
9 itself. We did not see it during our testing.
10 Whether or not it was seen during trial operations,
11 I -- I'm not too sure.

12 CATHERINE MAINVILLE: So let's start
13 with this: What was your involvement, if any,
14 during testing? Let's start with the testing and
15 commissioning.

16 PAUL DOOYEWEERD: Well, testing and
17 commissioning, we have a set of requirements that
18 are derived from the customer requirements, and our
19 testing program centres around ensuring that every
20 one of those requirements is satisfied.

21 CATHERINE MAINVILLE: Correct.

22 PAUL DOOYEWEERD: So it's very
23 signalling-centric. We do test interfaces but not
24 end to end. We're just making sure that our
25 interfaces at our boundary work the way we expect

1 them to.

2 The one exception to that is the
3 rolling stock because we are controlling the train.
4 We do need to run the train and ensure that we're
5 controlling the propulsion and braking systems
6 properly.

7 CATHERINE MAINVILLE: Would those
8 interfaces, additional interfaces, not be tested
9 during the systems -- or the -- the integration
10 tests?

11 PAUL DOOYEWEERD: Yeah. Normally, the
12 system integrator would -- would run tests with the
13 integrated system to ensure that the integrated
14 system is meeting its requirements, yes.

15 CATHERINE MAINVILLE: And do you have
16 knowledge of that testing.

17 PAUL DOOYEWEERD: I do not.

18 CATHERINE MAINVILLE: In the sense that
19 you were not involved, or --

20 PAUL DOOYEWEERD: Not involved.

21 CATHERINE MAINVILLE: Would
22 Thales normally be involved?

23 COURT REPORTER: Pardon me, ma'am?

24 CATHERINE MAINVILLE: Would -- well,
25 let me rephrase. Not involved personally, or was

1 Thales not involved?

2 PAUL DOOYEWEERD: I don't think Thales
3 was really involved, and typically we're not --
4 what will happen is if the system integrator runs
5 into an issue during their testing, they'll figure
6 out where the problem lies. And if they find a
7 problem with signalling, they will come to the
8 signalling supplier, say we've detected this
9 problem, and we will resolve it.

10 CATHERINE MAINVILLE: And are you aware
11 of how much integration testing was done, how
12 much you --

13 PAUL DOOYEWEERD: No, I'm not.

14 CATHERINE MAINVILLE: Are you aware of
15 the -- I take it ORLTC was responsible for that
16 testing.

17 PAUL DOOYEWEERD: I'm not entirely
18 certain. The system integrator would -- would be
19 responsible for that testing. I -- I'm not sure if
20 that was ORLTC or if they had a contractor
21 responsible for it.

22 CATHERINE MAINVILLE: Did the system
23 integrator, whoever it was, come back to Thales
24 with signalling system issues during that phase?
25 Do you know.

1 PAUL DOOYEWEERD: Not to my knowledge,
2 no.

3 CATHERINE MAINVILLE: Would you have
4 had any knowledge of trial running.

5 PAUL DOOYEWEERD: We were aware it
6 occurred, yes.

7 CATHERINE MAINVILLE: Were you -- and I
8 understand Thales was not formally involved in it,
9 yes? Is that correct that it --

10 PAUL DOOYEWEERD: Right. Right.

11 CATHERINE MAINVILLE: So, but did you
12 have any sense of how the trains were performing
13 during that period.

14 PAUL DOOYEWEERD: I -- I did not, but
15 there may be others in Thales that did, but not --
16 not myself, no.

17 CATHERINE MAINVILLE: And was Thales to
18 your knowledge approached about issues during the
19 trial running phase.

20 PAUL DOOYEWEERD: Not to my knowledge,
21 no, or not my -- not to my recollection.

22 CATHERINE MAINVILLE: Was Thales
23 consulted at all, and did it have any input into
24 whether the system was ready for revenue service.

25 PAUL DOOYEWEERD: That's a -- it's a

1 difficult question to answer. I mean, we were
2 certainly asked if the system is safe, and the
3 answer to that was yes. I -- I don't recall
4 specifically if we were asked for operational
5 readiness.

6 CATHERINE MAINVILLE: In your role, did
7 you have a view as to how much dry running or
8 burden a new system like this should have to sort
9 of test the reliability of the system, its
10 performance prior to operations.

11 PAUL DOOYEWEERD: Yes. The time
12 required really does come down to how well the
13 system has been integrated. If -- if the
14 integration has been managed well, it doesn't take
15 a lot of time to get through that integrated
16 testing, but it's hard to put a number on it.

17 CATHERINE MAINVILLE: Was there a
18 sense -- well, approaching RSA, revenue service,
19 what was the parties' understanding, if you're able
20 to speak to that, of how well integration had gone
21 and the level of integration that had been done.

22 PAUL DOOYEWEERD: I -- I can't really
23 speak to that.

24 CATHERINE MAINVILLE: But let me phrase
25 it differently. From Thales' perspective, did -- I

1 mean, you understood that there had been challenges
2 along the way. Were there concerns that the system
3 was perhaps not as fully integrated as ideally it
4 would be.

5 PAUL DOOYEWEERD: Nothing specific. I
6 think we would have liked to have had more testing
7 with train control just to ensure that we're --
8 we're stopping accurately and -- and we've got a
9 comfortable braking, and that can take a little
10 while. But I don't think we had any specific
11 concerns.

12 CATHERINE MAINVILLE: And the train
13 control testing, is that Thales -- that Thales
14 testing, or is that part of the integration system.

15 PAUL DOOYEWEERD: No. That is
16 something we have to do. It's -- it requires too
17 much low-level knowledge for an integrator to be
18 able to do it.

19 CATHERINE MAINVILLE: So it was done,
20 and, you know, the system passed, I take it?
21 But --

22 PAUL DOOYEWEERD: M-hm.

23 CATHERINE MAINVILLE: -- ideally, you
24 would do more of it if you had the time.

25 COURT REPORTER: I missed that, ma'am.

1 Ideally, you would --

2 CATHERINE MAINVILLE: Do more of it if
3 you had the time?

4 PAUL DOOYEWEERD: Yeah, more time is
5 always better. The more time you spend with it,
6 the better your -- your -- the more accurate your
7 control of the train is.

8 CATHERINE MAINVILLE: And would that
9 have been conveyed in any way to ORLTC,
10 or systems --

11 PAUL DOOYEWEERD: I believe it was, but
12 when we went to revenue service, the -- our
13 primary -- primary concern operationally is
14 station-stopping accuracy. You don't want to be
15 overshooting or undershooting. The performance was
16 acceptable when we went to revenue service.

17 CATHERINE MAINVILLE: And was there
18 ever any input provided by Thales to ORLTC about
19 whether there should be more dry running time or
20 burden time before returning to revenue service in
21 this case.

22 PAUL DOOYEWEERD: I -- I don't recall.

23 CATHERINE MAINVILLE: Was that Thales'
24 view to say that if it had -- let's say if it had
25 been asked, is that what Thales' view would have

1 been that there is -- ideally you would have more.

2 PAUL DOOYEWEERD: I think we would have
3 preferred a little bit more time, yes, but I -- my
4 sense was we didn't really have an option.

5 CATHERINE MAINVILLE: Right. And what
6 was your understanding in that regard in terms of
7 the timeliness or desire to get to revenue service?
8 Did you have a sense of that from where you stood.

9 PAUL DOOYEWEERD: From a technical
10 position, no, I -- not really.

11 CATHERINE MAINVILLE: But you as you've
12 indicated, you understood that if there was more
13 time -- that there was no more -- no additional
14 time available for Thales to run -- to run the --

15 PAUL DOOYEWEERD: Yeah, my
16 understanding was the date was set, and, you
17 know...

18 CATHERINE MAINVILLE: Are you able to
19 speak to dynamic winter testing and whether there
20 -- whether there was any.

21 PAUL DOOYEWEERD: Yeah. I -- I don't
22 recall getting a lot of winter testing. I -- I
23 remember early on when we started running trains,
24 we were having a lot of problems with switches
25 freezing, and there was insufficient heat being

1 provided to the -- the switch blades to -- to
2 prevent ice from forming.

3 So I don't recall that we really did
4 get a lot of winter testing in, but winter testing
5 doesn't -- you know, it doesn't really affect
6 signalling all that much. It's more an issue of
7 the track and -- and the rolling stock. They're --
8 they're more affected by adverse weather.

9 CATHERINE MAINVILLE: Was there any
10 impact for Thales of not getting access to the sole
11 line and access to the tunnel until fairly late in
12 the day.

13 COURT REPORTER: Until fairly late --
14 sorry, ma'am. It did cut out.

15 CATHERINE MAINVILLE: Fairly late in
16 the day.

17 COURT REPORTER: I still missed it.

18 CATHERINE MAINVILLE: Fairly late in
19 the day?

20 PAUL DOOYEWEERD: Other than schedule
21 slip no, not really. The problem always was that
22 we were chasing a revenue date that kept moving for
23 other -- you know, various reasons.

24 CATHERINE MAINVILLE: Why was that a
25 problem from your perspective.

1 PAUL DOOYEWEERD: Very difficult to
2 plan.

3 CATHERINE MAINVILLE: Maybe you could
4 explain that a bit more because from Thales'
5 perspective, wouldn't you just be -- I mean, you
6 need a certain amount of time to complete your
7 task. Eventually the system has passed on, so how
8 does that impact...

9 PAUL DOOYEWEERD: Yeah, I mean, we
10 typically commission these things in segments, but
11 it's important to know, you know, when you're
12 getting which segment so you can plan, have the
13 resources available.

14 But if those -- if those dates keep
15 moving, your plan keeps changing. It's just very
16 difficult to manage your commissioning program
17 when -- when things are moving around so much.

18 CATHERINE MAINVILLE: There was about a
19 two-week period after trial running -- well, after
20 revenue service was met and before the trains went
21 into operation. Would you have been aware of how
22 the trains were performing during that time.

23 PAUL DOOYEWEERD: Not that I recall,
24 no.

25 CATHERINE MAINVILLE: This may relate

1 to the issue we discussed earlier. Do you recall
2 an issue with a lot of emergency braking during the
3 early phase of operation.

4 PAUL DOOYEWEERD: Vaguely, yes.

5 CATHERINE MAINVILLE: Do you know what
6 the cause of that was.

7 PAUL DOOYEWEERD: Not offhand. I would
8 have to go back and look.

9 CATHERINE MAINVILLE: Do you recall any
10 concern about the system operating at too high a
11 speed.

12 PAUL DOOYEWEERD: No.

13 CATHERINE MAINVILLE: You don't think
14 that was an issue, or you don't recall that.

15 PAUL DOOYEWEERD: In terms of exceeding
16 guideway speed limits, no, but we also, when trains
17 are braking, we calculate a braking curve that the
18 train has to follow. And if the train is unable to
19 decelerate at the required rate, that by definition
20 becomes on overspeed because you've gone past the
21 braking curve, and you'll apply the EBs.

22 CATHERINE MAINVILLE: Right. And what
23 might cause the train to not decelerate.

24 PAUL DOOYEWEERD: Very often lack of
25 adhesion --

1 CATHERINE MAINVILLE: Right.

2 PAUL DOOYEWEERD: -- is the issue.

3 CATHERINE MAINVILLE: And how could
4 that be addressed, this lack of adhesion?

5 PAUL DOOYEWEERD: Well, the only thing
6 the operators could do with signalling is to reduce
7 the acceleration and braking rates. So if you
8 accelerate less hard and brake less hard, you're
9 less likely to reduce adhesion and slide on the
10 rails.

11 CATHERINE MAINVILLE: And I take it for
12 that, you would have to change the speed profile
13 and the set -- sorry -- the setting.

14 PAUL DOOYEWEERD: Yeah. It's -- it's a
15 setting. It doesn't change the speed profiles. It
16 just -- like, service braking on the system is --
17 is .89 metres per second squared. They can adjust
18 it down to .4 metres per second squared, so it's
19 very gentle braking. So if you are having issues
20 with the wheel-rail adhesion, by decreasing your
21 braking forces, you lessen the risk of sliding.

22 CATHERINE MAINVILLE: So am I right
23 that because it's an automated train control
24 system, the operator, an individual train operator
25 couldn't just decelerate? That --

1 PAUL DOOYEWEERD: Well, they --
2 normally when they run in automated mode, the VOBC
3 is driving the trains, not the driver.

4 CATHERINE MAINVILLE: Right.

5 PAUL DOOYEWEERD: So the central
6 operator would -- can pick a section of guideway
7 and say there's an adhesion issue here; I'm going
8 to run reduced acceleration and braking in this
9 section, and every train will reduce its
10 acceleration and braking in that section.

11 CATHERINE MAINVILLE: Right. So on any
12 given day or even on any given period of time, you
13 know, let's say in the morning, there seems to be
14 less rail adhesion, or -- and -- and there should
15 be a deceleration, that's something that control
16 could do at any given time. Is that fair to say.

17 PAUL DOOYEWEERD: Yeah, the controller
18 can do that anytime they want, yes.

19 CATHERINE MAINVILLE: And if that's not
20 done, is it fair to say that the only thing the
21 operator can do is put on the emergency brake.

22 PAUL DOOYEWEERD: No. The other thing
23 they could do is switch to mode of operation that
24 we call ATPM, Automated Train Protection Manual,
25 where the -- the signalling system is supervising

1 the train speed, but the driver is controlling the
2 thrust and the braking.

3 CATHERINE MAINVILLE: But is the
4 emergency brake an option as well to help
5 decelerate or stop?

6 PAUL DOOYEWEERD: No. The emergency
7 brake is not something you should be using for
8 operational reasons. The emergency brake is there
9 to stop the train because it's going too fast, or
10 it's not braking the way it should, and it's
11 running the risk of over running its track
12 reservation.

13 CATHERINE MAINVILLE: And while it
14 shouldn't be done, is it fair to say it could be
15 done by the operator.

16 PAUL DOOYEWEERD: My understanding is
17 the rolling stock provides the option to manually
18 apply the emergency brake. It's nothing to do with
19 signalling.

20 CATHERINE MAINVILLE: No. I
21 understand. I just want to understand.

22 PAUL DOOYEWEERD: They take -- yes,
23 they can apply the emergency brakes.

24 CATHERINE MAINVILLE: Do you have any
25 knowledge of that happening here that operators

1 were putting on emergency brakes maybe when they
2 shouldn't have when they should have changed the
3 setting.

4 PAUL DOOYEWEERD: I -- I don't know.

5 CATHERINE MAINVILLE: Are you aware of
6 wheel-slide issues.

7 PAUL DOOYEWEERD: I was aware of some
8 during station stops. Yes. They were overshooting
9 due to poor adhesion.

10 CATHERINE MAINVILLE: Well -- and so
11 was that connected, to, you know, unnecessary or
12 over -- overly applying the emergency brake.

13 PAUL DOOYEWEERD: No. No. No. The
14 emergency brake is -- is a last resort. It's --
15 it's not used operationally to stop trains.

16 CATHERINE MAINVILLE: I understand
17 that, but you don't know whether it was, in fact,
18 even though it is a last resort, whether it
19 wasn't used as a -- (INDISCERNIBLE) you don't --
20 you're not aware.

21 PAUL DOOYEWEERD: Sorry I didn't --

22 COURT REPORTER: It was used as what?

23 Sorry?

24 CATHERINE MAINVILLE: As a last resort?

25 Even though it's supposed to be -- my question is,

1 even if it's supposed to be a last resort, you
2 wouldn't have any awareness of whether that's, in
3 fact, how it was used? Is that fair to say.

4 PAUL DOOYEWEERD: No. No, we wouldn't.

5 CATHERINE MAINVILLE: So do you have
6 any understanding of what may have led to the wheel
7 flats other than the rail adhesion, like, more
8 specifically.

9 PAUL DOOYEWEERD: No. It's just --
10 just rail adhesion.

11 CATHERINE MAINVILLE: In terms of
12 winter testing, is there anything, from a
13 signalling system perspective, that Thales deems
14 advisable or that's particularly relevant to the
15 signalling system.

16 PAUL DOOYEWEERD: Specifically, no, not
17 for signalling. It's a good idea to test in all
18 seasons just so you see the gamut of wheel-rail
19 adhesion conditions.

20 And I believe there is a requirement in
21 the PA, or the Project Agreement, to -- to do
22 testing in all -- all conditions. But in order to
23 do that, you have to have your testing program run
24 over a full year.

25 CATHERINE MAINVILLE: Would you say, at

1 this point in the system's life, given that it's
2 been running for a while now, that you would expect
3 all integration issues to have been resolved in
4 terms of, you know, the issues that arose early on
5 that hadn't been -- that were kind of a surprise,
6 or at this point, would you expect any such issue
7 to have arisen.

8 PAUL DOOYEWEERD: Sorry. You tailed
9 off at the end.

10 CATHERINE MAINVILLE: Would you expect
11 any such issues to have arisen by now? Like, you
12 wouldn't expect further surprise because of how
13 much the train has run up to now.

14 PAUL DOOYEWEERD: At this point on the
15 main line, no, I would not -- I would not expect
16 anything new.

17 CATHERINE MAINVILLE: So there would
18 be -- in other words, there would be no value in
19 sort of going back and retrospectively at this
20 juncture trying to ascertain, you know, whether
21 there is a full integration of the system? You
22 wouldn't retroactively at this point.

23 PAUL DOOYEWEERD: No. I think after
24 two-and-a-half years of revenue service running
25 many trains every day, I think you've seen

1 everything you're going to see.

2 CATHERINE MAINVILLE: I think I'm going
3 to go back to the procurement. So if we want to
4 break now, that might be a good time if we want to
5 take 15 minutes, and then hopefully, I can be quick
6 enough.

7 PETER MANTAS: Yes. Sure, that's no
8 problem. Should we go off the record?

9 CHRISTINE MAINVILLE: Go off record.

10 (DISCUSSION OFF THE RECORD)

11 (ADJOURNMENT)

12 CHRISTINE MAINVILLE: Mr. Dooyeweerd,
13 the extent of your involvement in the procurement,
14 do I understand that it didn't relate to any of the
15 commercial aspects?

16 PAUL DOOYEWEERD: No. Other than
17 working up the cost for the system, no.

18 CATHERINE MAINVILLE: Okay. So would
19 you have had any particular involvement in meeting
20 with the consortiums.

21 PAUL DOOYEWEERD: I did attend a few
22 meetings, but typically, that's just to be a fly on
23 the wall just in case something comes up, but I
24 don't recall anything of -- of note being discussed
25 at that point.

1 CATHERINE MAINVILLE: And I understand
2 Thales presented a bid to more than one consortium.

3 PAUL DOOYEWEERD: Correct.

4 CATHERINE MAINVILLE: And eventually
5 negotiations began with ORLTC.

6 PAUL DOOYEWEERD: You know, I believe
7 at the time, they were -- it was just RTG. I think
8 OLRTC came into existence after contract award.

9 CATHERINE MAINVILLE: I think it may
10 have been called the Design Build Joint Venture,
11 potentially.

12 PAUL DOOYEWEERD: Yeah, DBJV, correct.
13 Yeah.

14 CATHERINE MAINVILLE: And do you recall
15 whether you were mostly engaging with SNC-Lavalin.

16 PAUL DOOYEWEERD: We did have a couple
17 of meetings at their offices, yes.

18 CATHERINE MAINVILLE: Did you have any
19 understanding what role SNC was playing in the
20 consortium, what, if any, particular role.

21 PAUL DOOYEWEERD: Not completely. At
22 that point, I do know that they wrote a CBTC
23 systems specification which formed part of our
24 contract over and above the project agreement.

25 CATHERINE MAINVILLE: And what was your

1 view of the requirements, you know, in terms of
2 prescriptiveness? Were there any concerns there
3 for the signalling system.

4 PAUL DOOYEWEERD: Well, from the
5 perspective of the project agreements, the
6 signalling system requirements were actually quite
7 prescriptive about architecture and not so much
8 what the system needed to do but how it needed to
9 do it.

10 It seemed to me to be a description of
11 somebody else's signalling system. It was very,
12 very prescriptive of that architecture and what the
13 various components were, but it was prefaced with a
14 statement that systems with similar or the same
15 functionality level of safety and redundancy would
16 be acceptable.

17 CATHERINE MAINVILLE: Did you have any
18 understanding of whether those requirements came
19 from some -- well, of where they originated from.

20 PAUL DOOYEWEERD: I'm not entirely
21 certain. It would have almost certainly been a
22 consultant that the City would have hired to -- to
23 write that specification.

24 CATHERINE MAINVILLE: Do you have any
25 awareness of an earlier fail (phonetic) procurement

1 with -- relating to Siemens for an Ottawa line.

2 PAUL DOOYEWEERD: No.

3 CATHERINE MAINVILLE: And so did this
4 prescriptiveness ultimately cause some challenges
5 for Thales.

6 PAUL DOOYEWEERD: I think it just
7 required us to take a very good look at our
8 architecture and verify that our system met the
9 same functional and -- and safety and availability
10 requirements.

11 CATHERINE MAINVILLE: And so you were
12 able to -- at least some of the prescriptive
13 requirements were able to be accommodated.

14 PAUL DOOYEWEERD: M-hm. Yeah. I would
15 say in some -- in some ways, our system is actually
16 more reliable than what was specified.

17 CATHERINE MAINVILLE: Was there any
18 service-proven requirement in respect of the
19 signalling system?

20 PAUL DOOYEWEERD: That, I don't recall.

21 CATHERINE MAINVILLE: How would you
22 characterize Thales' system of this project in
23 terms of whether it was -- it had new components or
24 anything you knew about it or how standard it was.

25 PAUL DOOYEWEERD: No. This is just a

1 deployment of our standard product. The same
2 product's been deployed in many cities.

3 CATHERINE MAINVILLE: Did it require a
4 new design.

5 PAUL DOOYEWEERD: From an architecture
6 perspective, no. But there's always going to be
7 functions peculiar to each deployment, but nothing
8 significant.

9 CATHERINE MAINVILLE: And was this the
10 first time to your knowledge that Thales'
11 signalling system was being integrated with an
12 Alstom LRT.

13 PAUL DOOYEWEERD: An Alstom LRT, yes.
14 As far as I know, yes.

15 CATHERINE MAINVILLE: And was that seen
16 as a risk on the project.

17 PAUL DOOYEWEERD: No, not -- not
18 particularly, as long as the rolling stock meets
19 the interface requirements, shouldn't -- shouldn't
20 really be a risk.

21 CATHERINE MAINVILLE: Did it ultimately
22 become a challenge.

23 PAUL DOOYEWEERD: Sorry. That wasn't
24 very clear.

25 CATHERINE MAINVILLE: Did it ultimately

1 become a challenge.

2 PAUL DOOYEWEERD: In terms of train
3 control, the ability to accelerate and brake the
4 trains, ultimately, no. But there were -- it took
5 a while to get the information that we needed to
6 design our system to control the train.

7 CATHERINE MAINVILLE: And do you recall
8 whether any of these challenges were the result of
9 Alstom and Thales being competitors.

10 PAUL DOOYEWEERD: It's impossible for
11 me to say.

12 CATHERINE MAINVILLE: But do you have
13 any -- did you observe any implications on the
14 project of the two companies being competitors.

15 COURT REPORTER: Being what, ma'am?

16 CATHERINE MAINVILLE: Being
17 competitors?

18 PAUL DOOYEWEERD: I -- I would say that
19 there wasn't the level of cooperation that I had
20 seen on previous projects.

21 CATHERINE MAINVILLE: And are you
22 saying that's on Alstom's part, or is it both.

23 PAUL DOOYEWEERD: Well, from my
24 perspective, on Alstom's part, but, yes.

25 CATHERINE MAINVILLE: And do you have

1 any sense of or understanding of why that was.

2 PAUL DOOYEWEERD: No.

3 CATHERINE MAINVILLE: Do you have any
4 knowledge of the first vehicle supplier that was
5 put forward by ORLTC or the Design-Build Joint
6 Venture, CAF.

7 PAUL DOOYEWEERD: I know it was CAF,
8 yes.

9 CATHERINE MAINVILLE: Did Thales have
10 any discussions with CAF.

11 PAUL DOOYEWEERD: No. I've worked with
12 CAF before on -- on other projects, but not on this
13 one, no.

14 CATHERINE MAINVILLE: So it had just
15 not reached that stage where it could have had
16 meetings or discussions.

17 PAUL DOOYEWEERD: No. And -- and you
18 typically don't during the bid stage. It's not
19 until the contract is awarded. That's when you get
20 together and start hashing through interface
21 issues.

22 CATHERINE MAINVILLE: And so what was
23 your -- when would have been your first meeting or
24 discussion with Alstom.

25 PAUL DOOYEWEERD: I believe it was

1 August 2013.

2 CATHERINE MAINVILLE: So is that after
3 both contracts were signed, or was that -- or after
4 the -- at least after the award.

5 PAUL DOOYEWEERD: Sorry. I can't --
6 can't really hear you.

7 CATHERINE MAINVILLE: Is that after the
8 award, then?

9 PAUL DOOYEWEERD: Yes, it was after the
10 award. I -- I don't recall when reward -- award
11 was. I think it was March or perhaps April of
12 2013.

13 CATHERINE MAINVILLE: Right. So it was
14 even after the subcontract was signed.

15 PAUL DOOYEWEERD: Yes. Yes.

16 CATHERINE MAINVILLE: So there were no
17 earlier meetings during contract negotiation or
18 anything like that.

19 PAUL DOOYEWEERD: No.

20 CATHERINE MAINVILLE: At least not on
21 the technical side.

22 PAUL DOOYEWEERD: Not -- not on the
23 technical side, no.

24 CATHERINE MAINVILLE: Would you ever
25 expect any earlier meetings to plan for the

1 technical aspects or the interface between the two?

2 PAUL DOOYEWEERD: Based on my
3 experience on prior projects, I would say no, I
4 don't -- I don't ever recall engaging other
5 subcontractors prior to contract award.

6 CATHERINE MAINVILLE: Not prior to
7 contract award, but prior to -- well, during
8 contract negotiations, during the --

9 PAUL DOOYEWEERD: No.

10 CATHERINE MAINVILLE: -- negotiating --
11 the negotiation of the terms, no.

12 PAUL DOOYEWEERD: No. You typically
13 don't.

14 CATHERINE MAINVILLE: But were you
15 involved at all in the contract negotiations.

16 PAUL DOOYEWEERD: No.

17 CATHERINE MAINVILLE: You're not aware
18 of who handled that on both RTC's
19 (INDISCERNIBLE) --

20 COURT REPORTER: On what, ma'am?

21 CATHERINE MAINVILLE: Both RTC's end?

22 PAUL DOOYEWEERD: I -- I didn't hear
23 the question clearly.

24 CATHERINE MAINVILLE: Did you have any
25 knowledge of who handled that on ORLTC's end.

1 PAUL DOOYEWEERD: I would have to say
2 no.

3 CATHERINE MAINVILLE: And so in terms
4 of ensuring alignment between the signalling
5 systems suppliers subcontract and the rolling stock
6 suppliers subcontract, I take it that would just be
7 the responsibility of the contract of ORLTC.

8 PAUL DOOYEWEERD: Yes, but I think what
9 they did was they just flowed down the relevant
10 sections of the project agreement.

11 CATHERINE MAINVILLE: That was your
12 understanding of Thales' subcontract.

13 PAUL DOOYEWEERD: Yes.

14 CATHERINE MAINVILLE: Did you ever have
15 any insight or knowledge of Alstom's contract.

16 PAUL DOOYEWEERD: No. Yeah, we did
17 have a complete copy of the project agreement, so
18 there is a rolling stock section in there. We had
19 exposure to that. I assume that was flowed down to
20 Alstom. Whether or not there were more
21 requirements flowed down to Alstom, we -- we don't
22 know.

23 CATHERINE MAINVILLE: Did you come to
24 understand that there was some level of
25 misalignment in the course of the project.

1 PAUL DOOYEWEERD: Yeah, you could see
2 the misalignment in the PA.

3 CATHERINE MAINVILLE: Oh, in the PA
4 itself.

5 PAUL DOOYEWEERD: Yeah.

6 CATHERINE MAINVILLE: How was that.

7 PAUL DOOYEWEERD: If you read through
8 the -- the rolling stock section, there would be
9 some mention of interfaces with CBTC that were not
10 mentioned in the CBCT section. That's not all that
11 unusual. These specifications are very large.
12 They're put together by multiple people.
13 Invariably, there will be disconnects.

14 CATHERINE MAINVILLE: And is that in
15 terms of timing of certain deliverables?
16 Or what --

17 PAUL DOOYEWEERD: No. Just -- no, just
18 requirements, what -- what the systems are required
19 to do.

20 CATHERINE MAINVILLE: Did that end up
21 causing challenges, or did that have any
22 implications.

23 PAUL DOOYEWEERD: No, I don't think --

24 COURT REPORTER: Sorry, ma'am. Could
25 you repeat it? I'm sorry.

1 CATHERINE MAINVILLE: Did that end up
2 causing challenges, or did it have any
3 implications?

4 PAUL DOOYEWEERD: Not really because we
5 were aware of them early on, so we could address
6 them early on.

7 CATHERINE MAINVILLE: And so were you
8 involved in any meetings with the City or its
9 advisors early on in the project.

10 PAUL DOOYEWEERD: No, I don't think so,
11 don't recall.

12 CATHERINE MAINVILLE: Were there any
13 discussions with ORLTC early on about integration
14 planning.

15 PAUL DOOYEWEERD: Not that I recall.

16 CATHERINE MAINVILLE: And what would
17 have been your expectation in that regard should --
18 you know, would you have been involved in many
19 other projects, should -- is there usually more
20 early exchanges on the -- about the integration
21 between all the parties.

22 COURT REPORTER: Between who?

23 CATHERINE MAINVILLE: Between all of
24 the parties.

25 PAUL DOOYEWEERD: Normally, there would

1 be early on a focus in ensuring that the
2 development schedules of the subcontractors are
3 aligned. I -- I got the sense. I don't know for
4 sure, but I got the sense that there was a
5 misalignment between the signalling schedule and
6 the rolling stock schedule.

7 CATHERINE MAINVILLE: And did the
8 parties, by that, I mean Alstom and Thales, discuss
9 early on how their respective systems would be
10 integrated.

11 PAUL DOOYEWEERD: Yeah, we -- we --
12 that's -- I believe it was August was the first
13 meeting we had, and that I think that meeting
14 centred more around the -- the physical aspects of
15 the signalling system: What's it look like; where
16 is it going to go.

17 CATHERINE MAINVILLE: Do you recall
18 Alstom entering the picture a bit late in the day
19 in the procurement?

20 PAUL DOOYEWEERD: No. I think they --
21 my -- my understanding is they -- they signed their
22 contract around the same time we did.

23 CATHERINE MAINVILLE: So you wouldn't
24 have expected more meetings -- more early planning
25 meetings with Alstom than that there was

1 ultimately.

2 PAUL DOOYEWEERD: No, I don't think so.

3 CATHERINE MAINVILLE: Did you
4 understand early on what train model Alstom was
5 putting forward.

6 PAUL DOOYEWEERD: Yes.

7 CATHERINE MAINVILLE: What was that?
8 What was your understanding.

9 PAUL DOOYEWEERD: It was something they
10 called the Alstom Citadis Spirit, so the Citadis is
11 quite common in Europe, and the Spirit variant was
12 a -- I guess a new variant targeted for the North
13 American market.

14 CATHERINE MAINVILLE: Was this
15 discussed at the first meeting in August 2013.

16 PAUL DOOYEWEERD: The specific model?
17 No.

18 CATHERINE MAINVILLE: But by that point
19 in time, did you understand what the model was.

20 PAUL DOOYEWEERD: Yeah. It was -- it
21 was in the -- in our contract. It -- it told us
22 what it was, yeah.

23 CATHERINE MAINVILLE: And so in your
24 contract, it was already called the Citadis Spirit.

25 PAUL DOOYEWEERD: I can't say for sure.

1 I'd have to go back and look at it. We knew it was
2 a North American variant, a new variant.

3 CATHERINE MAINVILLE: Is it fair to say
4 you wouldn't have seen Alstom's bid proposal to
5 ORLTC.

6 PAUL DOOYEWEERD: Correct.

7 CATHERINE MAINVILLE: Did you -- or do
8 you now have a view as to whether the
9 Citadis Spirit was service proven.

10 PAUL DOOYEWEERD: I can't really
11 comment on that.

12 CATHERINE MAINVILLE: How would you
13 describe the extent to which the Citadis model
14 needed to be adapted for this project.

15 PAUL DOOYEWEERD: Again, I don't really
16 know. I know I have seen -- for instance, I've
17 seen pictures of the bogies, some of the Citadis in
18 Europe, and I know what the bogie looks like here,
19 and it's very, very different.

20 Now, why they're different and -- and
21 what the differences -- what are driving the
22 differences, I -- I don't know. We're not rolling
23 stock suppliers.

24 CATHERINE MAINVILLE: So in light of
25 that, do you have any view on the hundred percent

1 low-floor requirement.

2 PAUL DOOYEWEERD: No.

3 CATHERINE MAINVILLE: Because it
4 doesn't directly impact the signalling system.

5 PAUL DOOYEWEERD: No, it doesn't -- it
6 doesn't directly impact signalling. The train is
7 just a hunk of metal that we need to move around.

8 CATHERINE MAINVILLE: Do you have any
9 view as to the choice of an LRV for this project in
10 terms of what the City was trying to accomplish in
11 capacity and speed.

12 PAUL DOOYEWEERD: Well, I have a view,
13 but it's just an opinion. I think they had to go
14 with an LRV simply because of the topology of the
15 guideway. It's -- they were reusing a bus transit
16 way. There's a lot of tight turns. An LRV is the
17 only type of vehicle that's going to be able to
18 manoeuvre those turns.

19 CATHERINE MAINVILLE: Is it accurate to
20 say that this project kind of pushed the LRV to its
21 limits? It's kind of a super LRV? Maybe you
22 could --

23 PAUL DOOYEWEERD: I -- I can't say.
24 I -- I don't know.

25 CATHERINE MAINVILLE: Do you recall the

1 original plans relating to validation testing and
2 how that changed.

3 PAUL DOOYEWEERD: From a signalling
4 perspective.

5 CATHERINE MAINVILLE: Well, for the
6 rolling stock but with potential implications for
7 Thales.

8 PAUL DOOYEWEERD: I'm not sure I
9 understand the question.

10 CATHERINE MAINVILLE: So let me start
11 here: Do you recall that originally the first two
12 LRV, the prototypes were supposed to be
13 manufactured in France.

14 PAUL DOOYEWEERD: Yes. Yes, they were
15 supposed to be manufactured and tested in France on
16 their test track.

17 CATHERINE MAINVILLE: Right. So there
18 would be some validation testing there.

19 PAUL DOOYEWEERD: Yeah. We would do
20 what we call characterization testing which you
21 always want to do on -- on flat track with no
22 curves, actually measure train performance, see how
23 it accelerates, see how it brakes, capture the
24 data, and then use that in our -- our control
25 logarithms.

1 CATHERINE MAINVILLE: So is that a
2 Thales test, or it's simply a test that is relevant
3 to Thales because of the data.

4 PAUL DOOYEWEERD: It would be a Thales
5 test. It would be a very specific -- what we call
6 train characterization testing.

7 CATHERINE MAINVILLE: So I take it
8 there were discussions about Thales conducting
9 those tests.

10 PAUL DOOYEWEERD: There would have
11 been, yes.

12 CATHERINE MAINVILLE: Would that have
13 been discussed, then, with ORLTC and/or with Alstom
14 at the August 2013 meeting.

15 PAUL DOOYEWEERD: It would have been
16 ORLTC.

17 CATHERINE MAINVILLE: And do you recall
18 whether Thales was consulted about the change of
19 locations with the two prototype vehicles.

20 PAUL DOOYEWEERD: Depends what you mean
21 by consulted. We were told.

22 CATHERINE MAINVILLE: So when do you
23 recall that happening.

24 PAUL DOOYEWEERD: I -- it was a long
25 time ago. I -- I don't remember specifically when

1 it happened.

2 CATHERINE MAINVILLE: And so when you
3 were told, what did you expect then have took [sic]
4 place? What would have been...

5 PAUL DOOYEWEERD: Well, as I recall,
6 the plan changed. The -- the first two vehicles
7 were going to be built in Hornell, New York, and
8 then they were going to be shipped to a test track.
9 I believe it was in Colorado for Alstom because
10 Alstom would have to do lot of testing on a test
11 track. And then we would just piggyback onto the
12 end of that and do our characterization testing on
13 the same test track.

14 CATHERINE MAINVILLE: Okay. So there
15 was still a plan to do the characterization testing
16 in Colorado instead.

17 PAUL DOOYEWEERD: Right.

18 CATHERINE MAINVILLE: And the
19 characterization testing, is that the same as
20 automated speed control testing.

21 PAUL DOOYEWEERD: No. It's -- it's --
22 it's a test that's specifically done to capture the
23 train's response to propulsion and braking
24 commands. So what -- what we do is we ask the
25 rolling -- the rolling stock supplier for

1 performance data. You know, tell us how this train
2 accelerates. Tell us how the train decelerates.
3 And then we'll do characterization testing to
4 confirm that data, and then once we know how the
5 train performs, we can modify the parameters in our
6 speed control software to suit the train.

7 CATHERINE MAINVILLE: That's the
8 characterization testing.

9 PAUL DOOYEWEERD: The characterization
10 testing is about capturing the train response so we
11 can know how to set the parameters in our speed
12 control software.

13 CATHERINE MAINVILLE: And how important
14 is that for...

15 PAUL DOOYEWEERD: It -- it's useful. I
16 wouldn't say it's critical.

17 CATHERINE MAINVILLE: Okay.

18 PAUL DOOYEWEERD: It helps get to a
19 well-controlled train faster.

20 CATHERINE MAINVILLE: And so the
21 automated speed control testing is different, you
22 said.

23 PAUL DOOYEWEERD: Correct.

24 COURT REPORTER: Who did you say,
25 ma'am? Who made it?

1 CATHERINE MAINVILLE: Automated speed
2 control testing is different, you said. Was that a
3 testing that was planned on the prototype vehicles
4 early on.

5 PAUL DOOYEWEERD: No. No. That's
6 something you would do on the revenue system.

7 CATHERINE MAINVILLE: And so what ended
8 up happening with the Colorado plan? Did that take
9 place.

10 PAUL DOOYEWEERD: No, it did not.

11 CATHERINE MAINVILLE: Why is that.

12 PAUL DOOYEWEERD: I -- I don't know.

13 CATHERINE MAINVILLE: What was Thales
14 subsequently told, or happened with them next.

15 PAUL DOOYEWEERD: Well, we were
16 basically -- I don't recall specifically, but the
17 trains were not going to go to a test track in
18 Denver. They were going to deliver directly to
19 Ottawa.

20 CATHERINE MAINVILLE: And did you
21 understand that you would be able conduct this
22 testing in Ottawa.

23 PAUL DOOYEWEERD: Correct. It's not
24 ideal, though, because there is no part of this
25 guideway that's on zero grade.

1 CATHERINE MAINVILLE: I see. That's
2 straight, is that what that means.

3 COURT REPORTER: That's what, ma'am?

4 CHRISTINE MAINVILLE: That is straight.

5 PAUL DOOYEWEERD: It's -- there are no
6 zero grade sections on this guideway. There's
7 always a slope.

8 CATHERINE MAINVILLE: Oh, okay. Zero
9 grade means flat.

10 PAUL DOOYEWEERD: Right.

11 CATHERINE MAINVILLE: And was Thales
12 able to conduct this testing.

13 PAUL DOOYEWEERD: Yeah, it's -- it's
14 not ideal because when you have a grade, gravity is
15 always going to affect your acceleration and
16 braking. I know Alstom had the same challenge when
17 they do their testing. They -- they really want to
18 be on a -- on a level grade.

19 CATHERINE MAINVILLE: Was that testing
20 delayed because of the changes in location or for
21 some other reason.

22 PAUL DOOYEWEERD: I -- honestly, I
23 don't recall. I know the testing was delayed, but
24 I don't know that it was specifically because of
25 that.

1 CATHERINE MAINVILLE: Was Thales able
2 to do that testing on the prototypes before having
3 to manufacture, I suppose, the signalling system
4 for the additional trains for their fleet.

5 PAUL DOOYEWEERD: I don't recall, but
6 that testing isn't required to -- you wouldn't
7 expect any manufacturing changes. The -- the speed
8 control software is -- is software. It doesn't
9 change the hardware.

10 CATHERINE MAINVILLE: But ideally,
11 would you still do the prototype testing first to
12 adjust the software, or it doesn't matter.

13 PAUL DOOYEWEERD: It doesn't really
14 matter.

15 CATHERINE MAINVILLE: Do you recall,
16 then, Alstom's validation testing being delayed.

17 PAUL DOOYEWEERD: I can't say. I don't
18 know what their schedule was.

19 CATHERINE MAINVILLE: Were you aware of
20 what particular issues Alstom faced in their
21 manufacturing, their train assembly.

22 PAUL DOOYEWEERD: No.

23 COURT REPORTER: In their which
24 assembly?

25 CATHERINE MAINVILLE: Train assembly.

1 PAUL DOOYEWEERD: No. We had -- we had
2 no visibility into their schedule or their
3 challenges.

4 CATHERINE MAINVILLE: Were you or
5 Thales at the MSF at all.

6 PAUL DOOYEWEERD: Yes.

7 CATHERINE MAINVILLE: Was there a lot
8 of work to be done at Thales.

9 PAUL DOOYEWEERD: In -- in terms of.

10 CATHERINE MAINVILLE: Well, yes, I'm
11 just wondering, was there a Thales team on site for
12 some of the -- like, where were the VOBCs and the
13 signalling systems actually built --

14 COURT REPORTER: The which and the
15 signalling systems?

16 CATHERINE MAINVILLE: The VOBC and
17 signalling system, where is that actually
18 manufactured --

19 PAUL DOOYEWEERD: Sorry. You're --

20 CATHERINE MAINVILLE: -- in terms -- in
21 terms of the hardware?

22 COURT REPORTER: In terms of what?

23 CATHERINE MAINVILLE: Hardware.

24 PAUL DOOYEWEERD: Sorry. I'm really
25 having a hard time hearing the question.

1 CATHERINE MAINVILLE: There was
2 equipment, right, that Thales -- I mean, it's --
3 it's a piece of equipment in the VOBC.

4 PAUL DOOYEWEERD: M-hm.

5 CATHERINE MAINVILLE: So was that --
6 where was that built -- manufactured.

7 PAUL DOOYEWEERD: Well, the components
8 were built at various subcontractors that we use,
9 and they were all delivered to Ottawa. And then
10 the assemblies were installed in the trains in
11 Ottawa.

12 CATHERINE MAINVILLE: Were they
13 installed by Thales.

14 PAUL DOOYEWEERD: No. Installed by
15 Alstom.

16 CATHERINE MAINVILLE: So I guess I'm
17 trying to get a sense of how much work Thales
18 actually did on site and how -- for example, the
19 manufacture --

20 COURT REPORTER: I couldn't hear the
21 end.

22 PAUL DOOYEWEERD: Can't hear it.

23 CATHERINE MAINVILLE: I guess I'm
24 wondering how much work did Thales do on site in
25 Ottawa during the manufacturing phase?

1 PAUL DOOYEWEERD: Well, in terms of
2 installation of signalling equipment on the trains,
3 that was Alstom's responsibility, and then
4 signalling equipment in track side, wayside, was
5 done by ORLTC. So we had -- I wouldn't call it
6 supervisory, but we -- we did have some oversight,
7 but installation was not our responsibility.

8 CATHERINE MAINVILLE: So would that
9 mean that Thales' team in Ottawa was fairly
10 limited?

11 PAUL DOOYEWEERD: No. No. We had a
12 team there that was primarily focused on the
13 testing and commissioning of the system.

14 CATHERINE MAINVILLE: During the
15 testing and commissioning phase?

16 PAUL DOOYEWEERD: M-hm. Yes.

17 CATHERINE MAINVILLE: And so before
18 then, what did Thales' presence in Ottawa look
19 like?

20 PAUL DOOYEWEERD: We had a relatively
21 small team. We had an experienced site manager.
22 He'd been through this many, many times. He's
23 helping out and -- and keeping an eye -- a watchful
24 eye over what they were doing.

25 CATHERINE MAINVILLE: Are you actually

1 located in Ottawa yourself during the project?

2 PAUL DOOYEWEERD: Sorry. I -- I didn't
3 hear the question.

4 CATHERINE MAINVILLE: Are you located
5 in Ottawa yourself?

6 PAUL DOOYEWEERD: Me personally? No.
7 Toronto.

8 CATHERINE MAINVILLE: So did you mostly
9 work from Toronto?

10 COURT REPORTER: Sorry? Could you
11 repeat that, ma'am?

12 CATHERINE MAINVILLE: I'm sure there's
13 an audio issue that I can fix here. Is this
14 better?

15 COURT REPORTER: I'm not sure yet.

16 CATHERINE MAINVILLE: Sorry?

17 COURT REPORTER: I'm not sure yet.

18 CATHERINE MAINVILLE: Okay. So did you
19 mostly work from Toronto?

20 PAUL DOOYEWEERD: Yes.

21 CATHERINE MAINVILLE: And so in terms
22 of use of the MSF for some of the work to be done
23 on site, what did that look like for Thales?

24 PAUL DOOYEWEERD: I'm not sure I
25 understand the question.

1 CATHERINE MAINVILLE: Well, I mean, the
2 MSF was used by Alstom to a significant extent for
3 the train assembly, correct?

4 PAUL DOOYEWEERD: Correct. Yeah.

5 CATHERINE MAINVILLE: So was Thales
6 working at -- in the MSF? What was it doing in the
7 MSF?

8 PAUL DOOYEWEERD: That we were working
9 on our own, our own subsystems. We've got a lot of
10 equipment installed at the MSF, yard control. The
11 central servers are there. But in terms of train
12 supply, that's a different part of the MSF. It's
13 off limits to us.

14 CATHERINE MAINVILLE: Okay. So you
15 were in a different section, and work was being
16 there by Thales?

17 PAUL DOOYEWEERD: Correct.

18 CATHERINE MAINVILLE: And was the MSF
19 suitable as a facility for Thales' work?

20 PAUL DOOYEWEERD: Yes, given that our
21 responsibility was to install our -- make sure our
22 equipment was installed properly in the MSF, yes.
23 It's the only place to do it.

24 CATHERINE MAINVILLE: Because you would
25 always do it on site, that project?

1 PAUL DOOYEWEERD: Yeah, what we do is
2 make sure our equipment is installed on site.

3 CATHERINE MAINVILLE: And were you
4 there, then, only later on when the components were
5 ready? Would you have been working in the MSF, you
6 know, early --

7 PAUL DOOYEWEERD: No. We have a -- we
8 have a separate team, a site team led by the site
9 manager that -- that manages all onsite activities.
10 It's not something I was personally involved in.

11 CATHERINE MAINVILLE: Do you have any
12 understanding of whether the MSF was suitable for
13 Alstom's manufacturing or assembly?

14 PAUL DOOYEWEERD: I can't really
15 comment on that.

16 CATHERINE MAINVILLE: From Thales'
17 perspective, did the budget cause any concerns?

18 PAUL DOOYEWEERD: No, not -- not -- not
19 in particular. No.

20 CATHERINE MAINVILLE: Were there any
21 cost-saving measures discussed with the ORLTC that
22 impacted Thales?

23 PAUL DOOYEWEERD: Yeah, the -- the only
24 one I recall was the -- the project agreement
25 called for the provision of track circuits which we

1 used as a secondary method to detect trains.

2 And there was -- I think they called
3 that an innovation proposal to remove that
4 secondary detection system which the City did agree
5 to do, so that -- that did impact us.

6 CATHERINE MAINVILLE: And what does
7 that mean? What is that detection system? What
8 does it do?

9 PAUL DOOYEWEERD: Well, normally, the
10 trains are communicating -- the trains know where
11 they are. They're communicating their position
12 over wireless radio to the central computers, so
13 the central computers know where all the trains
14 are. They know how fast they're going. They know
15 where they're going.

16 But if you have a train that has a
17 failure of its onboard signalling system, or if you
18 have a maintenance vehicle that doesn't have
19 signalling equipment on it, there's no way for the
20 system to know that the train is there.

21 So a track circuit is a device mounted
22 to the rails that can detect a train electrically
23 through the rails. And it's called a -- we refer
24 to it as a secondary detection system.

25 So there was a requirement in the

1 project agreement to have that secondary detection
2 system, and that was subsequently descoped.

3 CATHERINE MAINVILLE: And why would you
4 want a secondary detection system?

5 PAUL DOOYEWEERD: Primarily to detect
6 maintenance vehicles. In some systems, you have
7 what's called a mixed-mode operation where some
8 trains are equipped and some trains are not
9 equipped with signalling systems, so you need that
10 secondary system to detect the non-equipped trains.

11 In a system like this, you don't
12 necessarily need secondary detection. It is a
13 closed system. There are only LRVs and the odd
14 maintenance vehicle on the guideway.

15 CATHERINE MAINVILLE: So you don't see
16 this as having had any implications down the road?

17 PAUL DOOYEWEERD: We don't. No.

18 CATHERINE MAINVILLE: Are you able to
19 speak to the plans for an automated yard and how
20 that changed?

21 COURT REPORTER: And what, ma'am?

22 CATHERINE MAINVILLE: How that changed.

23 PAUL DOOYEWEERD: Well, the plan for
24 automation never changed. The -- the intent was
25 always to operate the yard without drivers. So we

1 have a mode called unattended train operation where
2 the trains will drive without anybody on board.

3 So that was a requirement from Day 1.
4 That's something that our product supports. What
5 did change with the MSF was it got bigger, so there
6 was at some point a decision -- because of the east
7 and west extensions, they would need more trains.
8 There was a decision made to procure those
9 additional trains now while Alstom is producing the
10 first batch.

11 So instead of delivering -- I think it
12 was 34 for the base contract -- deliver 72, and
13 they've got enough to cover the east and the west
14 extensions. And of course, when they did that,
15 they would need a place to put those trains. So
16 the MSF was not big enough for that many trains, so
17 they redesigned the MSF to expand the storage
18 capability.

19 CATHERINE MAINVILLE: And as a result,
20 they have not yet automated the job?

21 PAUL DOOYEWEERD: Yeah, what they did
22 was they went and redesigned the MSF at the end of
23 the tracks which basically meant that our software
24 no longer represented the MSF as built, so we -- we
25 got a variation to change our MSF design. And so

1 our -- our design now matches the actual MSF
2 topology, but we have not completed the testing of
3 the MSF.

4 CATHERINE MAINVILLE: And is there a
5 reason that's being delayed?

6 PAUL DOOYEWEERD: It really just comes
7 down to -- to access to tests. We need to have
8 possessions. We need to be able to run our tests.
9 A lot of our tests need special software -- test
10 software builds, so we can't run them while they're
11 running revenue service. So a lot of our testing
12 is restricted to off-revenue hours.

13 But I think the other problem we have
14 is off-revenue hours, they're very busy trying to
15 make sure they have enough trains to support
16 revenue the next day. So we're just not getting
17 the time that we need to complete our test program.

18 CATHERINE MAINVILLE: Does that have
19 any implications for Thales, or you're just ready
20 to do it whenever you're asked to do it?

21 PAUL DOOYEWEERD: We're -- we're ready.
22 It's just -- it's just delaying the schedule.

23 CATHERINE MAINVILLE: Are you involved
24 in the Stage 2 trains?

25 PAUL DOOYEWEERD: Well, the Stage 2

1 trains are actually a variation on Stage 1.
2 It's -- it's -- the trains themselves are part of
3 the Stage 1 contract.

4 CATHERINE MAINVILLE: So you mean the
5 variation just in terms of numbers?

6 PAUL DOOYEWEERD: Yeah.

7 CATHERINE MAINVILLE: But are you
8 involved in the manufacturing of them? The --

9 PAUL DOOYEWEERD: Yeah. We're just --
10 we're just producing more onboard equipment, and
11 Alstom is installing our onboard equipment, no --
12 no different than the original batch of trains.
13 It's just a quantity change.

14 CATHERINE MAINVILLE: Has that gone
15 more smoothly than the Stage 1 trains, then?

16 PAUL DOOYEWEERD: I -- I would -- to
17 some extent, yes. It's not as smooth as it -- as
18 we'd like it to be.

19 CATHERINE MAINVILLE: Why are there
20 still some challenges?

21 PAUL DOOYEWEERD: Just not getting the
22 trains when we're supposed to.

23 CATHERINE MAINVILLE: So just in
24 terms -- just they're being delayed in terms of
25 being --

1 PAUL DOOYEWEERD: They're being --
2 they're being delayed, and I -- I don't know why.

3 CATHERINE MAINVILLE: But in terms of
4 your earlier integration issues, would those be
5 resolved for the Stage 2 trains?

6 PAUL DOOYEWEERD: Once you resolve the
7 integration issue, it -- the solution applies to
8 all trains.

9 CATHERINE MAINVILLE: Right. Because
10 you would have -- whenever issues were encountered
11 in 2019 and so forth, fixes were made, and those
12 would, of course, be applied to the new -- the
13 new -- the new --

14 PAUL DOOYEWEERD: On -- on the
15 signalling side, the -- the fixes have all been
16 software fixes. Once you fix software on one
17 train, you deploy it everywhere. It's fixed on
18 every train.

19 Now, on the Alstom side, I think there
20 have been some hardware changes as well, so these
21 need to be applied train by train.

22 CATHERINE MAINVILLE: It's fair to say
23 that for software, the more you -- this is software
24 that applies to projects like this -- the more you
25 use the system or run the trains, the more reliable

1 that becomes?

2 PAUL DOOYEWEERD: I -- I wouldn't say
3 it becomes more reliable. I'd say you have more
4 confidence in its reliability.

5 CATHERINE MAINVILLE: And am I right
6 that the reverse can be said about hardware, not
7 that it loses reliability, but the more you run it,
8 the more it -- it wears.

9 PAUL DOOYEWEERD: Yeah. Hardware
10 wears, and failures -- failures are inevitable,
11 yes, that's -- software doesn't wear out if that's
12 what you're getting at.

13 CATHERINE MAINVILLE: What would you
14 say is unique at Thales' signalling system?

15 PAUL DOOYEWEERD: As compared to other
16 signalling systems? It -- it's very hard for me to
17 say because I don't have a lot of exposure to other
18 systems.

19 CATHERINE MAINVILLE: Okay.

20 PAUL DOOYEWEERD: I have spoken to
21 people that have experience with multiple
22 signalling systems, and they say that ours is --
23 is, you know, one of the most reliable and one of
24 the most feature-filled systems.

25 CATHERINE MAINVILLE: Were there any

1 risks perceived on this project in terms of whether
2 the scheduling or the number of interfaces on the
3 project or anything like that?

4 PAUL DOOYEWEERD: In terms of
5 interfaces, no. No. There's actually relatively
6 few interfaces on this project. I've certainly
7 seen projects with more.

8 CATHERINE MAINVILLE: You mean from --

9 PAUL DOOYEWEERD: The only -- from a
10 scheduling perspective, yeah. I think we -- we
11 started too early.

12 CATHERINE MAINVILLE: Too early?

13 PAUL DOOYEWEERD: Yeah. If you look at
14 it, I think signalling, rolling stock, and civil
15 design all started at the same time. Normally, the
16 civil design starts -- or takes longer, and
17 signalling comes in once the track has been
18 designed, and you know what the speed limits are
19 and...

20 CATHERINE MAINVILLE: Wouldn't that
21 just have delayed Thales? I mean, what other
22 impact would it -- would that have?

23 PAUL DOOYEWEERD: Yeah. It's just a
24 question of having too much time, and when you have
25 too much time, you spend too much money, and you've

1 got to be careful.

2 CATHERINE MAINVILLE: By not doing too
3 much work too early, that --

4 PAUL DOOYEWEERD: Right.

5 CATHERINE MAINVILLE: So is it fair to
6 say that Thales had to redesign things along the
7 way?

8 PAUL DOOYEWEERD: Yeah, that -- that's
9 inevitable. But the focus early on was just
10 getting the -- the hardware designs complete
11 because once they're done, they typically don't
12 change. The software development started later.
13 That's where the -- the functional behaviours come
14 from.

15 CATHERINE MAINVILLE: So are you saying
16 that, in the overall schedule, that ultimately
17 ended up in a bit of a crunch back then?

18 PAUL DOOYEWEERD: Not -- I don't think
19 it's because of the schedule. I think the crunch
20 came from just things not coming through when they
21 should have.

22 CATHERINE MAINVILLE: In terms of the
23 guideway, the rolling stock, and the various --

24 PAUL DOOYEWEERD: Yeah. All -- all of
25 the external interfaces, yeah.

1 CATHERINE MAINVILLE: And so was
2 Thales -- were you involved in the changing
3 schedules and those discussions with ORLTC about
4 how much time Thales would have for any given test?

5 PAUL DOOYEWEERD: Not -- not to any
6 large extent, no. That would normally be the site
7 team or deployment team looking after that.

8 CATHERINE MAINVILLE: From where you
9 stood, did you see pressure or a lot of
10 restrictions on the time your team would have to
11 run the tests, the various tests that needed to be
12 done?

13 PAUL DOOYEWEERD: Yeah, I do recall
14 that -- that getting test time was -- was a
15 challenge. It always is. You have multiple
16 subcontractors. All of them want the tests, and we
17 can't all test at the same time.

18 CATHERINE MAINVILLE: Was there any
19 particular impact of the sinkhole for you or for
20 Thales on this project?

21 PAUL DOOYEWEERD: Other than the delay
22 in getting the guideway built, no.

23 CATHERINE MAINVILLE: And would that
24 have only delayed the full integration testing or
25 some of this testing?

1 PAUL DOOYEWEERD: Well, it would
2 have -- it would have delayed the testing in the
3 tunnel section because that section was -- was
4 available to us much later than originally planned.

5 CATHERINE MAINVILLE: You said there
6 were relatively few interfaces on this project. Do
7 you mean from Thales' perspective or really
8 overall?

9 PAUL DOOYEWEERD: Thales' perspective.
10 I --

11 CATHERINE MAINVILLE: So --

12 PAUL DOOYEWEERD: I can't say overall.

13 CATHERINE MAINVILLE: In terms of who
14 you had to deal with?

15 PAUL DOOYEWEERD: Correct.

16 CATHERINE MAINVILLE: Was there any
17 challenge relating to not having some sort of
18 contractual relationship or commercial relationship
19 of some sort with the rolling stock supplier
20 directly?

21 PAUL DOOYEWEERD: That's a -- it's a
22 tough question. You typically don't in -- in
23 projects like this, have contractual relationships
24 with other subcontractors. It's all managed
25 through the system integrator, and it's really up

1 to the system integrator to -- to manage any
2 interface issues.

3 CATHERINE MAINVILLE: And does that
4 include the operator?

5 PAUL DOOYEWEERD: Yeah, the operator
6 would be another interface.

7 CATHERINE MAINVILLE: In this case, for
8 instance, there was no direct relationship between
9 Thales and the operator?

10 PAUL DOOYEWEERD: No.

11 CATHERINE MAINVILLE: And so you would
12 go through ORLTC as well?

13 PAUL DOOYEWEERD: Everything's through
14 ORLTC, yes.

15 CATHERINE MAINVILLE: And is that
16 typical as well for the operations side of it?

17 PAUL DOOYEWEERD: Yes. And typically,
18 the operator is just another subsystem. They just
19 happen to be humans, but they're another actor,
20 same with maintainers.

21 CATHERINE MAINVILLE: This project
22 could be fully automated -- I mean, it is fully
23 automated, but the trains could run by themselves
24 without drivers, correct?

25 PAUL DOOYEWEERD: They -- they could --

1 from a signalling perspective, absolutely they
2 could. From an overall integrated system
3 perspective, I would say no.

4 CATHERINE MAINVILLE: Why is that?

5 PAUL DOOYEWEERD: There's too high a
6 risk of -- of people getting on the -- on the
7 track. If you're going to have a truly unattended
8 system, you either have to be certain that people
9 aren't going to get on the track or that the train
10 is able to detect people on the track.

11 CATHERINE MAINVILLE: And are there any
12 implications to Thales to having drivers losing the
13 system, the...

14 PAUL DOOYEWEERD: No. When they run an
15 automated ATO mode, as we call it, the full
16 automated mode, it's effectively like a driverless
17 train except the driver has to push a button every
18 20 seconds to confirm that he's paying attention.
19 But the trains are driving themselves. They're --

20 CATHERINE MAINVILLE: Yes.

21 PAUL DOOYEWEERD: -- stopping and
22 aligning on their own.

23 CATHERINE MAINVILLE: Are you able to
24 speak to how this project compared to others?

25 Aside from anything you've already pointed to, was

1 there anything else you're able to point to that
2 made this project different in some significant
3 way?

4 PAUL DOOYEWEERD: As compared to other
5 projects, two things stand out to me at a -- at a
6 high level. Number 1, it's been a very long, long
7 project. Three years is more typical, even less.

8 And the other thing that stood out to
9 me is that, on other projects I've worked on, you
10 typically have large contingents of operators and
11 maintainers involved in reviews early on
12 understanding the system, telling us what their
13 concerns are, what their operational needs are, and
14 that that really didn't happen here.

15 CATHERINE MAINVILLE: And do you know
16 why? Do you have a sense of why?

17 PAUL DOOYEWEERD: I don't know why.

18 CATHERINE MAINVILLE: Would Thales
19 normally work with something like a concept of
20 operations?

21 PAUL DOOYEWEERD: Yes. But to have a
22 concept of operations, you'd need stakeholders, so
23 you need your operators involved in that.

24 CATHERINE MAINVILLE: Right so I take
25 it you did not have that?

1 PAUL DOOYEWEERD: No. Not -- not early
2 in the project, we didn't have it, no.

3 CATHERINE MAINVILLE: Are you usually
4 on -- other projects, are you usually dealing with
5 experienced train operators?

6 COURT REPORTER: With which, ma'am?

7 CATHERINE MAINVILLE: Experienced train
8 operators.

9 PAUL DOOYEWEERD: Yes. Yes. But
10 typically what happens -- what I've seen happen on
11 other projects is your first meeting is really an
12 opportunity for us to describe to the operators and
13 maintainers how our system works.

14 The second meeting is them coming back
15 with, okay, this is how we want you to tailor this
16 to our needs, and it's -- happens very early in the
17 project.

18 CATHERINE MAINVILLE: And did these
19 meetings, then, only end up happening very late in
20 the day or not really at all?

21 PAUL DOOYEWEERD: I think the real
22 operator involvement started perhaps six months
23 before revenue service.

24 CATHERINE MAINVILLE: And what
25 implications did that have?

1 PAUL DOOYEWEERD: Well, the
2 implications are the system's already been
3 designed. It's -- it's a little bit late for this
4 kind of feedback.

5 CATHERINE MAINVILLE: And so did that
6 result in, like, changes to the design or to Thales
7 saying, sorry, it can't be fixed?

8 PAUL DOOYEWEERD: A bit of both.

9 CATHERINE MAINVILLE: Oh, a bit of
10 both.

11 PAUL DOOYEWEERD: Yeah.

12 CATHERINE MAINVILLE: Do you recall
13 what types of changes to the design or to the
14 system the City was looking for at that juncture?

15 PAUL DOOYEWEERD: I don't recall.
16 There -- there were a number of lists floating
17 around, but there wasn't one consolidated list of
18 issues. But normally, when you -- when you hand
19 over for trial operations, normally, there's an
20 agreed punch list which is a list of issues that --
21 that need to be resolved so the system is accepted
22 pending the resolution of a list of items. And
23 that -- we don't have one here.

24 CATHERINE MAINVILLE: Well, are you
25 aware of the minor deficiencies list for the term

1 sheet or that existed at the time of revenue
2 service as between RTG and the City with --

3 PAUL DOOYEWEERD: I would have to say
4 no. I know there were, like I said, a number of
5 lists I saw, but I don't know that there was one
6 agreed, consolidated list.

7 CATHERINE MAINVILLE: So to the best of
8 your recollection, were there any outstanding items
9 that Thales had to address post-revenue service?

10 PAUL DOOYEWEERD: On the agreed list?
11 I -- I don't recall seeing the list.

12 CATHERINE MAINVILLE: Or just generally
13 that you knew had not been dealt with prior to RSA
14 but that was on Thales' list of things to do prior
15 to --

16 COURT REPORTER: Prior to what, ma'am?

17 CATHERINE MAINVILLE: Post. Sorry.
18 Post-RSA.

19 PAUL DOOYEWEERD: I can't really say
20 offhand. I'd have to go back and look.

21 CATHERINE MAINVILLE: Okay. And
22 perhaps this question is subsumed by your earlier
23 answer, but were there unanticipated challenges to
24 the project that were out of the ordinary?

25 COURT REPORTER: Out of the what,

1 ma'am?

2 CATHERINE MAINVILLE: The ordinary.

3 PAUL DOOYEWEERD: Yeah. I think just
4 the -- the delays. It's very -- very unusual to
5 experience this many delays.

6 CATHERINE MAINVILLE: Is that to the
7 infrastructure or the rolling stock or the --

8 COURT REPORTER: I can't hear you,
9 ma'am.

10 PAUL DOOYEWEERD: Well, certainly --
11 certainly the infrastructure, rolling stock, maybe,
12 maybe not. I -- I don't have enough visibility
13 into the rolling stock schedule.

14 CATHERINE MAINVILLE: Sorry. My
15 question for the court reporter was just whether
16 that was relating to the infrastructure or the
17 rolling stock or all of the above.

18 Okay. But for the infrastructure, from
19 Thales' perspective, was that mostly relating to
20 the track, then?

21 PAUL DOOYEWEERD: And the stations.

22 CATHERINE MAINVILLE: Right. Which
23 impacts Thales because the signalling system also
24 has to be --

25 PAUL DOOYEWEERD: Installed in some of

1 the stations, yes.

2 CATHERINE MAINVILLE: And so was that
3 Rideau Station in particular that was delayed to
4 your recollection?

5 PAUL DOOYEWEERD: I don't recall. We
6 don't -- we don't actually have much installed at
7 Rideau. Most of our equipment is at Tunney's
8 Pasture, University of Ottawa, Tremblay, and Blair.

9 CATHERINE MAINVILLE: And you were
10 delayed --

11 PAUL DOOYEWEERD: There were some
12 delays there, yeah.

13 CATHERINE MAINVILLE: My final
14 question: Do you have a view as to what led to all
15 the issues that the system faced during service
16 operations, so in terms of, you know, the
17 breakdown, derailments. In terms of root causes or
18 looking back in hindsight, are you able to speak to
19 what you think could have been a contributing
20 factor?

21 PAUL DOOYEWEERD: I -- the only thing
22 that comes to mind is it's just not paying enough
23 attention early on to integration issues, making
24 sure that the plans align, make sure the systems
25 work together as intended.

1 CATHERINE MAINVILLE: And my apologies.
2 I said that that was my last question. But I
3 wanted to follow up on your last point about the
4 maintenance not being involved early on.

5 Did that -- just like the operator
6 wasn't involved early enough in the project, do you
7 know what implications that may have had on
8 maintenance ultimately? Were there things that
9 they would have liked to facilitate maintenance
10 that couldn't be accommodated or anything like
11 that?

12 PAUL DOOYEWEERD: Well, yeah. We
13 actually got a list earlier this week that -- based
14 on the -- the issues on the list, I'd have to say
15 they came from maintenance, and it's related to
16 yard operations, so a lot of new requests.

17 CATHERINE MAINVILLE: Thank you for
18 that.

19 Peter was there anything you wanted
20 to ask?

21 PETER MANTAS: Sorry, counsel. Were
22 you speaking to me?

23 CATHERINE MAINVILLE: Yes. Yes.

24 PETER MANTAS: You cut out on me.

25 Thanks.

1 CHRISTINE MAINVILLE: I asked if there
2 was anything you wanted to ask before --

3 PETER MANTAS: No. Thank you,
4 Christine. I have no reexamination or further
5 questions.

6 The only thing, and it was obvious
7 right there at the end. I think we've had some
8 audio issues. Well, in fact, I think we all know
9 we've had some audio issues throughout, so we'll
10 obviously need to be very vigilant when we review
11 the transcripts just to make sure that we capture
12 any errors.

13 But other than that, it's all good.
14 We're all done and ready to go off the record when
15 you are.

16 CHRISTINE MAINVILLE: Yes, let's do
17 that.

18 (DISCUSSION OFF THE RECORD)

19 -- Whereupon the Examination concluded
20 at 11:46 a.m.

21
22
23
24
25

1 REPORTER'S CERTIFICATE


2
3 I, JANET BELMA, CSR, Certified
4 Shorthand Reporter, certify;

5 That the foregoing proceedings were
6 taken before me at the time and place therein set
7 forth, at which time the witness was put under
8 oath;

9 That the testimony of the witness
10 and all objections made at the time of the
11 examination were recorded stenographically by me
12 and were thereafter transcribed;

13 That the foregoing is a true and
14 correct transcript of my shorthand notes so taken.

15
16 Dated this 24th day of May, 2022.

17
18
19 

20 _____
21 NEESONS COURT REPORTING INC.

22 PER: JANET BELMA, CSR
23
24
25

WORD INDEX

< 1 >

1 6:16 32:18
87:3 89:1, 3, 15
98:6
11:46 1:12
105:20
13 8:10
15 8:2 9:23
56:5

< 2 >

2 88:24, 25 90:5
20 1:4 97:18
2004 8:5
2009 5:5 8:7
2013 63:1, 12
69:15 73:14
2014 25:3, 4
2018 27:5
2019 30:9 90:11
2022 1:4, 12
106:16
20th 1:11
2109 28:13
24th 106:16

< 3 >

33(6) 5:4
33(7) 5:16
34 87:12

< 4 >

4 9:23 50:18

< 5 >

5 5:18 9:23

< 7 >

72 87:12

< 8 >

89 50:17

< 9 >

9:00 1:12 4:1
90 11:22

< A >

a.m 1:12 4:1
105:20
ability 61:3
absolute 38:18
absolutely 97:1

accelerate 14:5
17:17 50:8 61:3

accelerates
21:19 72:23
75:2

acceleration
14:6 17:13
18:24 21:9
50:7 51:8, 10
77:15

acceptable
45:16 58:16

accepted 100:21

access 47:10,
11 88:7

accommodated
59:13 104:10

accomplish
71:10

account 16:13

accuracy 45:14

accurate 45:6
71:19

accurately 44:8

Act 5:5, 17, 19

activities 84:9

actor 96:19

actual 88:1

adapted 70:14

additional 31:13
40:8 46:13
78:4 87:9

address 67:5
101:9

addressed 50:4

adhesion 20:23

21:9 49:25
50:4, 9, 20 51:7,
14 53:9 54:7,
10, 19

ADJOURNMENT

56:11

adjust 50:17

78:12

adverse 47:8

advisable 54:14

advised 5:17

advisement 3:15

advisements

3:6, 14

advisors 67:9

Aerospace 8:2

affect 47:5

77:15

affirm 5:22 6:2

AFFIRMED 6:6

after 4:18
24:22 27:4
31:8, 14 33:9
34:9, 22 36:17,
19 38:25 48:19
55:23 57:8
63:2, 3, 4, 7, 9,
14 94:7

aggressive
17:12

ago 24:20

73:25

agree 20:19

85:4

agreed 100:20

101:6, 10

agreement

23:23 54:21

57:24 65:10, 17

84:24 86:1

agreements

9:22 58:5

ahead 8:13

alarm 32:20

align 103:24

aligned 68:3

aligning 97:22

alignment 65:4

Alstom 15:11

24:9, 17 29:14,

17 35:13 36:5,

8 60:12, 13

61:9 62:24

65:20, 21 68:8,

18, 25 69:4, 10

73:13 74:9, 10

77:16 78:20

80:15 83:2

87:9 89:11

90:19

Alstom's 61:22,

24 65:15 70:4

78:16 81:3

84:13

American 69:13

70:2

amount 48:6

and/or 73:13

answers 6:2

anybody 87:2

anytime 51:18

apologies 104:1

appear 3:12, 16,
21

appended 5:2

application

30:25

applied 16:16

90:12, 21

applies 30:22

90:7, 24

apply 16:21

49:21 52:18, 23

applying 53:12

approached

42:18

approaching

17:19 43:18

approval 6:22

April 63:11

architecture

58:7, 12 59:8

60:5

arisen 55:7, 11

arose 28:24

30:6, 10 55:4

arrange 35:7

Article 9:23

ascertain 55:20

aside 36:3

39:1 97:25

asked 5:7 43:2,

4 45:25 88:20

105:1

asking 32:6

aspect 14:14

34:22

aspects 9:12,

14 56:15 64:1

68:14

assemblies

80:10

assembly 78:21,

24, 25 83:3

84:13

assess 11:9

assigned 35:3

assistance 3:8

assume 65:19

assuming 20:16

assumption

13:8

Atlantis 8:2

ATO 97:15

ATPM 51:24

attainable 17:23

attend 35:13, 15
56:21

attendee 24:10

attending 1:11

attention 33:23

37:7 97:18

103:23

audio 10:7

82:13 105:8, 9

audio's 10:12

August 63:1

68:12 69:15

73:14

Authority 6:18

8:9 9:7

automated

50:23 51:2, 24

74:20 75:21

76:1 86:19

87:20 96:22, 23

97:15, 16

automation

86:24

availability 59:9

available 46:14

48:13 95:4

award 57:8

63:4, 8, 10 64:5,

7

awarded 7:5, 6,

10 8:23 62:19

aware 15:6

26:21 41:10, 14

42:5 48:21

53:5, 7, 20

64:17 67:5

78:19 100:25

awareness 54:2

58:25

< B >

back 34:2

38:19 41:23

49:8 55:19

56:3 70:1

93:17 99:14

101:20 103:18

background

7:18

base 15:5

87:12

based 18:21

64:2 104:13

basically 9:16

<p>76:16 87:23 basis 4:21 batch 87:10 89:12 began 57:5 behaviours 93:13 believe 22:17 27:11 29:12 45:11 54:20 57:6 62:25 68:12 74:9 Belma 2:13 106:3, 22 Bergeron 24:24, 25 26:10 27:10 35:16 36:23 37:4 best 17:23 20:17 101:7 better 25:17 45:5, 6 82:14 bid 7:2, 5 8:25 9:5, 7, 9 57:2 62:18 70:4 big 37:23 87:16 bigger 17:6 87:5 biggest 29:1 bit 7:18 9:2 13:20 22:20 25:1 32:21 34:16 36:18 46:3 48:4 68:18 93:17 100:3, 8, 9 blades 47:1 Blair 103:8 board 87:2 Boghosian 2:4 4:7 bogie 70:18 bogies 70:17 boundary 39:25 brain 29:6 brake 15:22, 23 16:1, 6 30:23, 25 32:19 50:8 51:21 52:4, 7, 8, 18 53:12, 14 61:3 Braker 2:9 8:15 brakes 14:9, 10 16:21, 22 21:21</p>	<p>31:1, 6, 9 52:33 53:1 72:23 braking 18:18, 24 21:9 40:5 44:9 49:2, 17, 21 50:7, 16, 19, 21 51:8, 10 52:2, 10 74:23 77:16 break 6:9, 10 17:20 18:9 22:7 56:4 breakdown 103:17 breakdowns 30:17 bring 22:13 bringing 24:17 broader 34:2, 11, 24 36:21 37:1, 7, 17 broadly 25:21 budget 84:17 build 14:15 57:10 builds 88:10 built 74:7 79:13 80:6, 8 87:24 94:22 burden 43:8 45:20 bus 71:15 busy 88:14 button 97:17 < C > CAF 62:6, 7, 10, 12 calculate 49:17 calculated 17:2 call 13:4 15:22 16:14 29:3 32:20 51:24 72:20 73:5 81:5 97:15 called 8:1, 8 57:10 69:10, 24 84:25 85:2, 23 86:7 87:1 CANADA 1:3 2:7 5:19 capability 87:18 capacity 12:16, 17 13:12, 16, 22 18:14 71:11</p>	<p>capture 72:23 74:22 105:11 capturing 75:10 careful 93:1 carry 13:9 case 12:24 20:17 22:16 31:11, 12 45:21 56:23 96:7 CATHERINE 6:14 7:1, 7, 11, 14, 17 8:11, 22 9:4, 18, 24 10:5 11:8, 15, 18, 24 12:3, 6, 9, 12, 23 13:18 14:13, 22 15:4, 10, 13 16:4 17:4, 9, 25 18:5, 8, 17, 20 19:3, 8, 13, 17, 23 20:4, 7, 12, 18 21:3, 11, 25 22:15, 19, 25 23:8, 15 24:13, 16, 23 25:2, 6, 10, 14, 18, 23 26:4 27:2, 8, 13, 20 28:2, 5, 9, 21 29:10, 15, 17, 20, 24 30:5, 10, 16 31:16, 25 32:5, 10, 25 33:5, 8, 15, 18 34:1, 15, 20 35:12, 22, 25 36:10, 20 37:5, 12 38:5, 8, 14, 23 39:12, 21 40:7, 15, 18, 21, 24 41:10, 14, 22 42:3, 7, 11, 17, 22 43:6, 17, 24 44:12, 19, 23 45:2, 8, 17, 23 46:5, 11, 18 47:9, 15, 18, 24 48:3, 18, 25 49:5, 9, 13, 22 50:1, 3, 11, 22 51:4, 11, 19 52:3, 13, 20, 24 53:5, 10, 16, 24 54:5, 11, 25 55:10, 17 56:2, 18 57:1, 4, 9, 14, 18, 25 58:17, 24</p>	<p>59:3, 11, 17, 21 60:3, 9, 15, 21, 25 61:7, 12, 16, 21, 25 62:3, 9, 14, 22 63:2, 7, 13, 16, 20, 24 64:6, 10, 14, 17, 21, 24 65:3, 11, 14, 23 66:3, 6, 14, 20 67:1, 7, 12, 16, 23 68:7, 17, 23 69:3, 7, 14, 18, 23 70:3, 7, 12, 24 71:3, 8, 19, 25 72:5, 10, 17 73:1, 7, 12, 17, 22 74:2, 14, 18 75:7, 13, 17, 20 76:1, 7, 11, 13, 20 77:1, 8, 11, 19 78:1, 10, 15, 19, 25 79:4, 7, 10, 16, 20, 23 80:1, 5, 12, 16, 23 81:8, 14, 17, 25 82:4, 8, 12, 16, 18, 21 83:1, 5, 14, 18, 24 84:3, 11, 16, 20 85:6 86:3, 15, 18, 22 87:19 88:4, 18, 23 89:4, 7, 14, 19, 23 90:3, 9, 22 91:5, 13, 19, 25 92:8, 12, 20 93:2, 5, 15, 22 94:1, 8, 18, 23 95:5, 11, 13, 16 96:3, 7, 11, 15, 21 97:4, 11, 20, 23 98:15, 18, 24 99:3, 7, 18, 24 100:5, 9, 12, 24 101:7, 12, 17, 21 102:2, 6, 14, 22 103:2, 9, 13 104:1, 17, 23 CBCT 66:10 CBTC 57:22 66:9 CCTV 33:21 central 19:6 51:5 83:11 85:12, 13</p>	<p>centred 14:19 68:14 centres 39:19 certain 4:8 12:10, 13 16:22 38:20 41:18 48:6 58:21 66:15 97:8 certainly 14:6 23:7 26:10 28:19 43:2 58:21 92:6 102:10, 11 CERTIFICATE 106:1 Certified 106:3 certify 106:4 challenge 26:12 60:22 61:1 77:16 94:15 95:17 challenges 10:19 14:16, 19 15:15 38:9 44:1 59:4 61:8 66:21 67:2 79:3 89:20 101:23 change 18:21 50:12, 15 73:18 78:9 87:5, 25 89:13 93:12 changed 15:19 38:13 53:2 72:2 74:6 86:20, 22, 24 changes 77:20 78:7 90:20 100:6, 13 changing 48:15 94:2 characterization 72:20 73:6 74:12, 15, 19 75:3, 8, 9 characterize 59:22 charge 34:6 chasing 47:22 choice 71:9 Chris 2:14 Christine 2:3 3:4 4:2 8:18 10:12, 16, 20, 25</p>
--	--	--	---	---

<p>11:2 56:9, 12 77:4 105:1, 4, 16 circuit 85:21 circuits 84:25 Citadis 69:10, 24 70:9, 13, 17 cities 60:2 City 20:11 58:22 67:8 71:10 85:4 100:14 101:2 City's 12:13 civil 5:9 92:14, 16 clear 60:24 clearly 11:1 64:23 close 16:11 closed 86:13 closer 14:10 coast 17:17 coasting 17:14 18:10, 11 co-counsel 4:7 Co-Lead 2:3 collaborative 4:6 collision 14:11 Colorado 74:9, 16 76:8 combination 12:18 come 9:16 33:22 35:9 41:7, 23 43:12 65:23 93:13 comes 14:1 56:23 88:6 92:17 103:22 comfortable 44:9 coming 93:20 99:14 command 16:20 31:2 32:17 commands 74:24 commence 4:15 commencing 4:1 comment 38:24 70:11 84:15 commercial 8:4 56:15 95:18</p>	<p>COMMISSION 1:2 2:1 4:12 48:10 commissioning 39:4, 15, 17 48:16 81:13, 15 Commission's 4:5, 13, 17, 20 common 69:11 communicating 85:10, 11 communication 29:18 communications 29:5 companies 61:14 company 8:1 38:2, 5 compared 91:15 97:24 98:4 competitors 61:9, 14, 17 complete 48:6 65:17 88:17 93:10 completed 88:2 completely 23:14 57:21 components 36:6 58:13 59:23 80:7 84:4 computer 29:14 computers 85:12, 13 concept 98:19, 22 concern 45:13 49:10 concerns 44:2, 11 58:2 84:17 98:13 concluded 105:19 condition 16:18 30:24 conditions 31:5, 7 54:19, 22 conduct 76:21 77:12 conducting 73:8 Conferencing 1:10 confidence 91:4</p>	<p>confidential 4:21 confirm 8:12 75:4 97:18 connected 53:11 consolidated 100:17 101:6 consortium 57:2, 20 consortiums 56:20 constraints 14:3 constructors 15:2 consultant 58:22 consultations 8:19 consulted 42:23 73:18, 21 contact 6:20 9:9 contingents 98:10 continue 28:10, 13 contract 7:6, 10 8:23 9:11, 12 19:24 20:8 21:13 24:11 57:8, 24 62:19 63:17 64:5, 7, 8, 15 65:7, 15 68:22 69:21, 24 87:12 89:3 contractor 41:20 contracts 63:3 contractual 95:18, 23 contributing 103:19 contributor 12:17 Control 29:13 44:7, 13 45:7 50:23 51:15 61:3, 6 72:24 74:20 75:6, 12, 21 76:2 78:8 83:10 controller 29:3 51:17 controlling 40:3, 5 52:1</p>	<p>controls 21:20 conveyed 45:9 cooperation 61:19 copy 65:17 correct 4:24 7:16 25:22 28:4 33:6, 7 35:19 36:2 37:8 39:21 42:9 57:3, 12 70:6 75:23 76:23 83:3, 4, 17 95:15 96:24 106:14 corrections 4:18 5:2 cost 9:17 56:17 cost-saving 84:21 COUNSEL 2:1, 3, 4 3:8 4:9, 20 5:23 104:21 couple 7:23 25:9 57:16 coupled 15:25 course 14:15 37:19 65:25 87:14 90:12 Court 2:13 9:1 10:3, 9 18:3 23:13 27:18 31:19 32:1 40:23 44:25 47:13, 17 53:22 61:15 64:20 66:24 67:22 75:24 77:3 78:23 79:14, 22 80:20 82:10, 15, 17 86:21 99:6 101:16, 25 102:8, 15 106:21 cover 87:13 critical 75:16 Crown 5:10 crunch 93:17, 19 CSR 106:3, 22 current 8:10 curve 14:2 17:19, 20, 21 18:9 49:17, 21 curves 72:22</p>	<p>customer 6:21 9:10 11:12 39:18 cut 10:3 47:14 104:24 cutting 9:1 < D > data 14:20, 21, 23, 25 15:1, 11, 16, 18, 19 38:10, 13 72:24 73:3 75:1, 4 date 27:7 46:16 47:22 Dated 106:16 dates 48:14 day 1:11 20:17 47:12, 16, 19 51:12 55:25 68:18 87:3 88:16 99:20 106:16 DBJV 57:12 deal 14:14 95:14 dealing 99:4 dealt 101:13 decelerate 49:19, 23 50:25 52:5 decelerates 75:2 Deceleration 14:5 16:23 17:6, 13 51:15 decision 87:6, 8 declaration 4:5 decreases 18:14 decreasing 50:20 deemed 5:6 deems 54:13 deficiencies 100:25 defined 13:3 definition 49:19 degree 7:21 delay 32:13, 14, 15, 21 94:21 delayed 77:20, 23 78:16 88:5 89:24 90:2 92:21 94:24 95:2 103:3, 10 delaying 88:22</p>
--	---	--	---	--

delays 102:4, 5
103:12
Delic 2:14
deliver 76:18
87:12
deliverables
66:15
delivered 80:9
delivering 87:11
demanding
12:24
Denver 76:18
dependent 20:5
21:18
depending 20:9,
20
depends 14:4
20:22 35:6
73:20
deploy 90:17
deployed 60:2
deployment
60:1, 7 94:7
derailments
103:17
derived 39:18
descoped 86:2
describe 70:13
99:12
described 19:16
description
19:22 58:10
Design 6:18
8:9 9:7 14:1,
15 19:16 26:22
38:11 57:10
60:4 61:6
87:25 88:1
92:15, 16 100:6,
13
Design-Build
62:5
designed 92:18
100:3
designer 15:3
22:9
designers 15:8,
9
designs 6:23
26:18, 19 93:10
desire 46:7
detail 23:21
detect 16:18
85:1, 22 86:5,

10 97:10
detected 41:8
detection 85:4,
7, 24 86:1, 4, 12
determine 9:12
30:24
development
9:14 11:9 68:2
93:12
device 85:21
differences
70:21, 22
different 19:25
20:8 21:4 32:2
34:8 70:19, 20
75:21 76:2
83:12, 15 89:12
98:2
differently 43:25
difficult 31:24
39:7 43:1 48:1,
16
direct 96:8
direction 13:13
directly 71:4, 6
76:18 95:20
disable 16:19
disabled 29:9
disconnects
66:13
discover 36:16
discovered
26:16
discuss 68:8
discussed
35:12 39:2
49:1 56:24
69:15 73:13
84:21
DISCUSSION
8:17 56:10
62:24 105:18
discussions
12:16 62:10, 16
67:13 73:8 94:3
display 35:6
distance 16:24
17:3
doc 10:14
documentation
19:16
doing 10:18
81:24 83:6 93:2
door 33:9
doors 33:12

DOOYEWEERD
1:3 2:7 3:3
4:3 5:24, 25
6:1, 5, 6, 8, 12,
17 7:4, 9, 13, 16,
20 8:21 9:6, 21
11:6, 11, 17, 21
12:1, 4, 7, 11, 15
13:2, 25 14:18
15:1, 7, 12, 17
16:8 17:5, 16
18:2, 7, 11, 19,
23 19:6, 10, 15,
20 20:2, 6, 10,
14, 21 21:6, 15
22:5, 17, 23
23:5, 12, 18
24:15, 19, 25
25:4, 8, 12, 15,
22 26:1, 9 27:6,
11, 24 28:4, 8,
17, 25 29:12, 16,
19, 22 30:2, 8,
13, 20 32:8, 14
33:4, 7, 12, 17,
24 34:13, 19
35:1, 19, 23
36:2, 14 37:3,
10, 20 38:7, 12,
15 39:6, 16, 22
40:11, 17, 20
41:2, 13, 17
42:1, 5, 10, 14,
20, 25 43:11, 22
44:5, 15, 22
45:4, 11, 22
46:2, 9, 15, 21
47:20 48:1, 9,
23 49:4, 7, 12,
15, 24 50:2, 5,
14 51:1, 5, 17,
22 52:6, 16, 22
53:4, 7, 13, 21
54:4, 9, 16 55:8,
14, 23 56:12, 16,
21 57:3, 6, 12,
16, 21 58:4, 20
59:2, 6, 14, 20,
25 60:5, 13, 17,
23 61:2, 10, 18,
23 62:2, 7, 11,
17, 25 63:5, 9,
15, 19, 22 64:2,
9, 12, 16, 22
65:1, 8, 13, 16

66:1, 5, 7, 17, 23
67:4, 10, 15, 25
68:11, 20 69:2,
6, 9, 16, 20, 25
70:6, 10, 15
71:2, 5, 12, 23
72:3, 8, 14, 19
73:4, 10, 15, 20,
24 74:5, 17, 21
75:9, 15, 18, 23
76:5, 10, 12, 15,
23 77:5, 10, 13,
22 78:5, 13, 17,
22 79:1, 6, 9, 19,
24 80:4, 7, 14,
22 81:1, 11, 16,
20 82:2, 6, 20,
24 83:4, 8, 17,
20 84:1, 7, 14,
18, 23 85:9
86:5, 17, 23
87:21 88:6, 21,
25 89:6, 9, 16,
21 90:1, 6, 14
91:2, 9, 15, 20
92:4, 9, 13, 23
93:4, 8, 18, 24
94:5, 13, 21
95:1, 9, 12, 15,
21 96:5, 10, 13,
17, 25 97:5, 14,
21 98:4, 17, 21
99:1, 9, 21
100:1, 8, 11, 15
101:3, 10, 19
102:3, 10, 21, 25
103:5, 11, 21
104:12
drive 87:2
driver 51:3
52:1 97:17
driverless 97:16
drivers 86:25
96:24 97:12
driving 51:3
70:21 97:19
drop 32:20
dry 43:7 45:19
due 53:9
dynamic 39:5
46:19
< E >
earlier 23:19
38:9 49:1

58:25 63:17, 25
90:4 101:22
104:13
early 22:1 24:7
25:4 26:6
46:23 49:3
55:4 67:5, 6, 9,
13, 20 68:1, 9,
24 69:4 76:4
84:6 92:11, 12
93:3, 9 98:11
99:1, 16 103:23
104:4, 6
earth-shattering
11:14
easily 21:2
east 87:6, 13
EB 31:14
EBs 49:21
effectively 97:16
electrical 7:21
electrically
85:22
else's 58:11
emergency 14:9,
10 15:21, 23
16:1, 6, 21, 22
18:18 30:22, 25
31:1, 6, 9 32:19
49:2 51:21
52:4, 6, 8, 18, 23
53:1, 12, 14
empty 16:15
enabled 18:12
39:2
encountered
90:10
ended 76:7
93:17
end-to-end 20:3,
16 22:14
engage 33:2
36:25
engaging 57:15
64:4
engineer 6:19
7:19, 20 8:8
engineering
7:21 8:6 9:8
15:6
ensure 17:7
26:20 38:21
40:4, 13 44:7
ensuring 6:23

39:19 65:4 68:1
entailed 11:16
enter 4:12
entered 4:18, 21
5:1
entering 68:18
entire 35:2
entirely 41:17
58:20
equipment 80:2,
3 81:2, 4 83:10,
22 84:2 85:19
89:10, 11 103:7
equipped 86:8, 9
equivalent 8:9
errors 4:25
105:12
establish 5:9
estimates 9:15
Europe 69:11
70:18
eventually
35:16 48:7 57:4
Everything's
96:13
evidence 4:4,
13, 19, 22 5:1,
12, 15, 19 37:6
Examination
3:4 6:3 10:19
105:19 106:11
example 28:22
80:18
examples 23:9
37:15
exceed 38:22
exceeding 49:15
exception 40:2
exchanges
67:20
existed 101:1
existence 57:8
exists 31:1
expand 87:17
expect 21:1
39:25 55:2, 6,
10, 12, 15 63:25
74:3 78:7
expectation
67:17
expected 23:10,
16 34:5 68:24
experience 7:18
25:16, 17 26:7
27:14 32:12

64:3 91:21
102:5
experienced
26:10 33:9
81:21 99:5, 7
experiencing
30:18
explain 6:15
13:20 16:5 48:4
explains 27:15
exposure 65:19
91:17
extensions 87:7,
14
extent 12:22
20:20 21:5
56:13 70:13
83:2 89:17 94:6
external 6:21
93:25
eye 81:23, 24

< F >
faced 78:20
103:15
facilitate 104:9
facility 83:19
fact 26:5 53:17
54:3 105:8
factor 103:20
factors 14:12
fail 58:25
fails 32:18
failure 16:14, 16
85:17
failures 91:10
fair 28:16
34:18, 19 51:16,
20 52:14 54:3
70:3 90:22 93:5
fairly 12:1, 14,
24 17:12 47:11,
13, 15, 18 81:9
familiar 38:4
Fasken 2:8, 9
fast 52:9 85:14
faster 75:19
feature 12:24
18:12, 23 19:11,
22
feature-filled
91:24
features 9:15,
16 11:10, 12

feedback 100:4
felt 11:16
figure 16:24
41:5
file 27:10
final 103:13
finalized 15:18
38:13
find 36:18 41:6
fine 10:24 32:3
fix 29:25 30:11,
12, 14 82:13
90:16
fixed 30:15
90:17 100:7
fixes 90:11, 15,
16
flat 72:21 77:9
flats 54:7
fleet 78:4
flight 8:4
floating 100:16
flowed 15:14
65:9, 19, 21
fly 56:22
focus 23:14, 16
28:3 68:1 93:9
focused 9:9
23:10, 15 35:17,
20 81:12
follow 49:18
104:3
following 3:6,
12, 16, 21
follow-up 4:9
forces 50:21
foregoing 106:5,
13
formally 42:8
formed 57:23
forming 47:2
forth 39:5
90:11 106:7
forward 8:25
9:5 62:5 69:5
found 31:3
France 72:13, 15
freezing 46:25
frequency
12:20, 25 13:10
front 14:17
full 16:16
54:24 55:21
94:24 97:15

fully 27:15, 21
44:3 96:22
function 14:8
functional 59:9
93:13
functionality
58:15
functions 60:7

< G >
gamut 54:18
gap 17:7 25:24
37:6
gaps 22:22
23:4, 7 25:11
34:4 36:11, 15
generally 37:20
101:12
gentle 50:19
give 6:2 23:8
27:24 28:21
given 4:23
5:11 27:13
36:23 51:12, 16
55:1 83:20 94:4
giving 5:15
goal 9:11
good 10:7, 12
54:17 56:4
59:7 105:13
grade 76:25
77:6, 9, 14, 18
gravity 77:14
greater 17:2
ground 5:7
Group 8:6
guaranteed
15:22 16:1, 23
19:25 20:8
21:12
guess 69:12
80:16, 23
guide 3:7
guideway 14:1
21:20 34:3
49:16 51:6
71:15 76:25
77:6 86:14
93:23 94:22
guideways 37:1

< H >
halting 29:8
hand 100:18
handle 28:1

handled 64:18,
25
happen 27:16,
21 32:16, 25
41:4 96:19
98:14 99:10
happened 22:16
74:1 76:14
happening
10:12 24:6
29:7 52:25
73:23 76:8
99:19
happens 30:1
38:21 99:10, 16
hard 31:20
43:16 50:8
79:25 91:16
hardware 78:9
79:21, 23 90:20
91:6, 9 93:10
hashing 62:20
head 10:17
headway 13:4
16:3, 7, 9, 10
hear 5:24
10:22 63:6
64:22 80:20, 22
82:3 102:8
Hearing 4:6
79:25
Hearings 4:13,
14, 15
heat 46:25
heavy 12:5
He'd 81:22
Held 1:10
help 31:22 52:4
helping 81:23
helps 75:18
high 49:10
97:5 98:6
high-capacity
12:14
higher-level
24:5 36:9
high-level 22:7
23:24
hindsight
103:18
hire 24:22 25:8
hired 58:22
hit 29:1
hold 12:19

<p>honestly 20:14 77:22 hopefully 56:5 Hornell 74:7 hour 11:20 12:14 13:13 hours 88:12, 14 humans 96:19 hundred 11:19 70:25 hunk 71:7</p> <p>< I > ice 47:2 idea 54:17 ideal 76:24 77:14 ideally 22:5 44:3, 23 45:1 46:1 78:10 identify 9:16 28:14 impact 14:6 47:10 48:8 71:4, 6 85:5 92:22 94:19 impacted 84:22 impacts 16:6 102:23 implications 37:14, 15 61:13 66:22 67:3 72:6 86:16 88:19 97:12 99:25 100:2 104:7 important 26:17 48:11 75:13 impossible 61:10 impression 37:11 inclement 18:22, 25 20:9, 23 include 96:4 increase 18:14 incriminate 5:8 INDEX 3:10, 14, 19 indicated 46:12 INDISCERNIBLE 17:15 31:18 53:19 64:19 individual 50:24 industry 8:19</p>	<p>inevitable 91:10 93:9 influenced 12:22 information 15:14 35:6 37:25 61:5 infrastructure 34:3 37:1 102:7, 11, 16, 18 innovation 85:3 input 42:23 45:18 Inquiries 5:5 inquiry 5:5, 12 insight 65:15 install 83:21 installation 81:2, 7 installed 80:10, 13, 14 83:10, 22 84:2 102:25 103:6 installing 89:11 instance 5:10 32:13 39:3 70:16 96:8 insufficient 28:23 46:25 integrate 37:22, 24 integrated 21:22 23:25 35:10 36:7 40:13 43:13, 15 44:3 60:11 68:10 97:2 integrating 36:12 integration 13:14, 19 14:17 22:20 23:1, 10, 17 25:19, 25 27:16, 19, 22 28:3, 11, 23 30:19 33:15 34:2, 7, 10, 11, 17, 24 35:14, 18 36:7, 22, 25 37:2, 8, 15, 17 40:9 41:11 43:14, 20, 21 44:14 55:3, 21 67:13, 20 90:4, 7 94:24 103:23</p>	<p>integrator 21:17 22:3, 6 23:20 25:17 26:6, 18 34:6, 21, 23 35:2, 7 36:9 38:16 40:12 41:4, 18, 23 44:17 95:25 96:1 intended 103:25 intends 4:12 intent 86:24 interact 27:1 interface 35:4 60:19 62:20 64:1 96:2, 6 interfaces 24:10 38:1 39:23, 25 40:8 66:9 92:2, 5, 6 93:25 95:6 internal 6:22 interval 13:5 14:6 intervene 4:8 interview 4:3, 6, 10, 11 introduce 14:3 introduced 39:8 introduces 32:21 Invariably 66:13 involved 7:2, 12 40:19, 20, 22, 25 41:1, 3 42:8 64:15 67:8, 18 84:10 88:23 89:8 94:2 98:11, 23 104:4, 6 involvement 6:16 8:19, 24 39:13 56:13, 19 99:22 involving 33:21 inwardly 9:8 issue 13:7 14:5 15:20, 25 25:11, 13 28:14, 22 30:19 33:16, 25 34:2 41:5 47:6 49:1, 2, 14 50:2 51:7 55:6 82:13 90:7 issues 6:20 27:4, 25 28:11,</p>	<p>12, 15, 18, 20 30:17 33:9, 19, 21 37:2, 15, 18 38:24 39:1 41:24 42:18 50:19 53:6 55:3, 4, 11 62:21 78:20 90:4, 10 96:2 100:18, 20 103:15, 23 104:14 105:8, 9 items 100:22 101:8</p> <p>< J > Jacques 26:10 jamming 33:13 Janet 2:13 106:3, 22 job 87:20 join 5:21 joint 15:6 57:10 62:5 junction 55:20 100:14</p> <p>< K > keeping 81:23 keeps 48:15 kept 47:22 key 23:19 kick 16:22 kilometers 11:20 kind 5:21 10:23 28:22 55:5 71:20, 21 100:4 knew 59:24 70:1 101:13 knowledge 40:16 42:1, 4, 18, 20 44:17 52:25 60:10 62:4 64:25 65:15 knows 22:3</p> <p>< L > lack 49:24 50:4 ladies 31:21 large 13:9 66:11 94:6 98:10 largely 9:8</p>	<p>late 47:11, 13, 15, 18 68:18 99:19 100:3 lead 6:19 18:18 led 30:24 54:6 84:8 103:14 lessen 50:21 level 21:25 25:20 27:14 43:21 58:15 61:19 65:24 77:18 98:6 liability 5:9 lies 41:6 life 7:15, 23 55:1 LIGHT 1:2 70:24 lightweight 20:25 liked 44:6 104:9 limit 14:2, 20, 23 15:19 38:10, 18 limited 81:10 limits 21:19 49:16 71:21 83:13 92:18 lists 100:16 101:5 Litigation 2:4 Litton 7:24 located 82:1, 4 location 77:20 locations 73:19 logarithms 72:25 long 24:19 29:24 30:11 60:18 73:24 98:6 longer 30:25 31:1 37:21 87:24 92:16 looking 10:13 34:9, 10, 22, 23 36:11, 24 94:7 100:14 103:18 looks 70:18 lose 20:23 21:1 29:18 loses 91:7 losing 97:12 lost 23:14 29:4</p>
--	--	--	--	---

<p>lot 23:24 24:6 25:17 37:22 43:15 46:22, 24 47:4 49:2 71:16 74:10 79:7 83:9 88:9, 11 91:17 94:9 104:16 low 16:2 lower 16:10 17:5 lowered 20:13 lower-level 22:8 24:2 low-floor 71:1 low-level 44:17 LRT 6:16 12:3 60:12, 13 LRV 15:25 16:1 71:9, 14, 16, 20, 21 72:12 LRVs 15:24 20:25 86:13</p> <p>< M > Ma'am 9:1 10:4 18:4 23:13 31:19 40:23 44:25 47:14 61:15 64:20 66:24 75:25 77:3 82:11 86:21 99:6 101:16 102:1, 9 made 4:18 5:2 75:25 87:8 90:11 98:2 106:10 main 29:6, 14 55:15 maintainers 96:20 98:11 99:13 maintenance 8:3 85:18 86:6, 14 104:4, 8, 9, 15 Mainville 2:3 4:2 6:11, 14 7:1, 7, 11, 14, 17 8:11, 18, 22 9:4, 18, 24 10:5, 16, 20 11:2, 8, 15, 18, 24 12:3, 6, 9, 12, 23 13:18 14:13, 22 15:4,</p>	<p>10, 13 16:4 17:4, 9, 25 18:5, 8, 17, 20 19:3, 8, 13, 17, 23 20:4, 7, 12, 18 21:3, 11, 25 22:15, 19, 25 23:8, 15 24:13, 16, 23 25:2, 6, 10, 14, 18, 23 26:4 27:2, 8, 13, 20 28:2, 5, 9, 21 29:10, 15, 17, 20, 24 30:5, 10, 16 31:16, 25 32:5, 10, 25 33:5, 8, 15, 18 34:1, 15, 20 35:12, 22, 25 36:10, 20 37:5, 12 38:5, 8, 14, 23 39:12, 21 40:7, 15, 18, 21, 24 41:10, 14, 22 42:3, 7, 11, 17, 22 43:6, 17, 24 44:12, 19, 23 45:2, 8, 17, 23 46:5, 11, 18 47:9, 15, 18, 24 48:3, 18, 25 49:5, 9, 13, 22 50:1, 3, 11, 22 51:4, 11, 19 52:3, 13, 20, 24 53:5, 10, 16, 24 54:5, 11, 25 55:10, 17 56:2, 9, 12, 18 57:1, 4, 9, 14, 18, 25 58:17, 24 59:3, 11, 17, 21 60:3, 9, 15, 21, 25 61:7, 12, 16, 21, 25 62:3, 9, 14, 22 63:2, 7, 13, 16, 20, 24 64:6, 10, 14, 17, 21, 24 65:3, 11, 14, 23 66:3, 6, 14, 20 67:1, 7, 12, 16, 23 68:7, 17, 23 69:3, 7, 14, 18, 23 70:3, 7, 12, 24 71:3, 8, 19, 25 72:5, 10, 17</p>	<p>73:1, 7, 12, 17, 22 74:2, 14, 18 75:7, 13, 17, 20 76:1, 7, 11, 13, 20 77:1, 4, 8, 11, 19 78:1, 10, 15, 19, 25 79:4, 7, 10, 16, 20, 23 80:1, 5, 12, 16, 23 81:8, 14, 17, 25 82:4, 8, 12, 16, 18, 21 83:1, 5, 14, 18, 24 84:3, 11, 16, 20 85:6 86:3, 15, 18, 22 87:19 88:4, 18, 23 89:4, 7, 14, 19, 23 90:3, 9, 22 91:5, 13, 19, 25 92:8, 12, 20 93:2, 5, 15, 22 94:1, 8, 18, 23 95:5, 11, 13, 16 96:3, 7, 11, 15, 21 97:4, 11, 20, 23 98:15, 18, 24 99:3, 7, 18, 24 100:5, 9, 12, 24 101:7, 12, 17, 21 102:2, 6, 14, 22 103:2, 9, 13 104:1, 17, 23 105:1, 16 Mainville..... .6 3:4 making 35:9, 25 39:24 103:23 manage 35:4 48:16 96:1 managed 43:14 95:24 Management 29:13 manager 24:11 81:21 84:9 manages 84:9 manifest 31:17 37:13, 18 38:25 manifests 32:6 manoeuvre 71:18 Mantas 2:8 5:23 6:1, 7, 13 8:13 10:11, 18,</p>	<p>22 56:7 104:21, 24 105:3 Manual 51:24 manually 52:17 manuals 19:21 manufacture 78:3 80:19 manufactured 72:13, 15 79:18 80:6 manufacturing 78:7, 21 80:25 84:13 89:8 March 63:11 margin 38:20 Maria 2:9 8:13, 15 market 69:13 matches 88:1 matter 13:21, 22 38:21 78:12, 14 maximum 11:22 17:22 38:19, 22 means 16:5 77:2, 9 meant 3:7 87:23 measure 16:9 72:22 measures 84:21 meet 13:15, 16 16:2 17:11 21:14, 17 22:2, 4, 12, 14 24:1, 2, 5 35:10 meeting 13:7 40:14 56:19 62:23 68:13 69:15 73:14 99:11, 14 meetings 24:9 35:13 56:22 57:17 62:16 63:17, 25 67:8 68:24, 25 99:19 meets 6:23 60:18 Member 2:3, 4 mention 66:9 mentioned 38:8 66:10 met 11:19 48:20 59:8 metal 71:7</p>	<p>meter 32:18 method 85:1 metres 50:17, 18 metro 12:5 M-hm 18:2 44:22 59:14 80:4 81:16 military 7:24 8:4 mind 103:22 minimum 13:4, 5 17:1 minor 100:25 minute 28:11 minutes 56:5 misalignment 65:25 66:2 68:5 missed 7:7 18:3 44:25 47:17 mixed-mode 86:7 mode 51:2, 23 87:1 97:15, 16 model 69:4, 16, 19 70:13 modify 31:13 75:5 moment 36:21 money 92:25 months 99:22 morning 51:13 motion 32:20 mounted 85:21 move 12:13 31:2, 4, 9, 15 32:16, 18 71:7 moved 8:1 moving 47:22 48:15, 17 MSF 79:5 82:22 83:2, 6, 7, 10, 12, 18, 22 84:5, 12 87:5, 16, 17, 22, 24, 25 88:1, 3 multiple 66:12 91:21 94:15 mute 31:21</p> <p>< N > necessarily 32:23 86:12 needed 26:13 38:17 58:8</p>
--	--	--	--	---

61:5 70:14 94:11 needs 13:6 16:12 17:7 18:12 21:17 22:1 98:13 99:16 NEESONS 106:21 negotiating 64:10 negotiation 63:17 64:11 negotiations 57:5 64:8, 15 new 9:15 11:9 43:8 55:16 59:23 60:4 69:12 70:2 74:7 90:12, 13 104:16 nodding 28:7 non-equipped 86:10 non- typographical 5:2 normally 14:5 34:12, 20 40:11, 22 51:2 67:25 85:9 92:15 94:6 98:19 100:18, 19 North 69:12 70:2 note 10:1, 4 11:4, 10, 11 56:24 noted 3:11, 16, 20 notes 106:14 noteworthy 11:5 notice 32:23 noticing 27:4 number 12:13 14:12 36:4 43:16 92:2 98:6 100:16 101:4 numbers 89:5 < O > object 5:18 objected 5:6	objections 106:10 observe 61:13 observed 28:11, 12 obstruction 32:21 obtain 4:4 obvious 105:6 occur 39:3 occurred 42:6 odd 86:13 offhand 49:7 101:20 offices 57:17 Official 2:13 off-revenue 88:12, 14 OLRTC 57:8 onboard 29:2 85:17 89:10, 11 online 10:19 onsite 84:9 operate 29:23 86:25 operating 11:22 38:20 49:10 operation 48:21 49:3 51:23 86:7 87:1 operational 43:4 52:8 98:13 operationally 45:13 53:15 operations 14:16 30:7 39:10 43:10 96:16 98:20, 22 100:19 103:16 104:16 operator 18:25 19:5, 6, 19 50:24 51:6, 21 52:15 96:4, 5, 9, 18 99:22 104:5 operators 19:20 50:6 52:25 98:10, 23 99:5, 8, 12 opinion 27:25 71:13 opportunity 4:23 99:12 opposed 19:4	option 18:16 46:4 52:4, 17 order 4:15 24:1 26:24 54:22 ordinary 101:24 102:2 original 72:1 89:12 originally 72:11 95:4 originate 15:11 originated 58:19 ORLTC 15:2, 5, 14 24:10 28:5 41:15, 20 45:9, 18 57:5 62:5 65:7 67:13 70:5 73:13, 16 81:5 84:21 94:3 96:12, 14 ORLTC's 64:25 OTTAWA 1:2 59:1 76:19, 22 80:9, 11, 25 81:9, 18 82:1, 5 103:8 Ottawa's 6:16 outstanding 101:8 overall 13:16 23:25 37:8 93:16 95:8, 12 97:2 overly 53:12 oversee 26:11 overseeing 26:7 overseen 34:12 36:8 overshooting 45:15 53:8 oversight 81:6 overspeed 49:20 < P > PA 54:21 66:2, 3 pages 3:12, 16, 21 parameters 75:5, 11 Pardon 40:23 Part 9:23 18:16 21:23, 24 32:9 44:14 57:23	61:22, 24 76:24 83:12 89:2 participants 1:11 2:6 4:20 5:1 particular 10:1, 4 11:4 12:24 22:13 23:22 26:22 29:25 56:19 57:20 78:20 84:19 94:19 103:3 particularly 54:14 60:18 parties 43:19 67:21, 24 68:8 passed 44:20 48:7 passenger 32:12 35:5 37:25 passengers 12:19 13:10, 13 18:15 32:23 Pasture 103:8 PAUL 1:3 2:7 3:3 5:25 6:5, 6, 12, 17 7:4, 9, 13, 16, 20 8:21 9:6, 21 11:6, 11, 17, 21 12:1, 4, 7, 11, 15 13:2, 25 14:18 15:1, 7, 12, 17 16:8 17:5, 16 18:2, 7, 11, 19, 23 19:6, 10, 15, 20 20:2, 6, 10, 14, 21 21:6, 15 22:5, 17, 23 23:5, 12, 18 24:15, 19, 25 25:4, 8, 12, 15, 22 26:1, 9 27:6, 11, 24 28:4, 8, 17, 25 29:12, 16, 19, 22 30:2, 8, 13, 20 32:8, 14 33:4, 7, 12, 17, 24 34:13, 19 35:1, 19, 23 36:2, 14 37:3, 10, 20 38:7, 12, 15 39:6, 16, 22 40:11, 17, 20 41:2, 13, 17	42:1, 5, 10, 14, 20, 25 43:11, 22 44:5, 15, 22 45:4, 11, 22 46:2, 9, 15, 21 47:20 48:1, 9, 23 49:4, 7, 12, 15, 24 50:2, 5, 14 51:1, 5, 17, 22 52:6, 16, 22 53:4, 7, 13, 21 54:4, 9, 16 55:8, 14, 23 56:16, 21 57:3, 6, 12, 16, 21 58:4, 20 59:2, 6, 14, 20, 25 60:5, 13, 17, 23 61:2, 10, 18, 23 62:2, 7, 11, 17, 25 63:5, 9, 15, 19, 22 64:2, 9, 12, 16, 22 65:1, 8, 13, 16 66:1, 5, 7, 17, 23 67:4, 10, 15, 25 68:11, 20 69:2, 6, 9, 16, 20, 25 70:6, 10, 15 71:2, 5, 12, 23 72:3, 8, 14, 19 73:4, 10, 15, 20, 24 74:5, 17, 21 75:9, 15, 18, 23 76:5, 10, 12, 15, 23 77:5, 10, 13, 22 78:5, 13, 17, 22 79:1, 6, 9, 19, 24 80:4, 7, 14, 22 81:1, 11, 16, 20 82:2, 6, 20, 24 83:4, 8, 17, 20 84:1, 7, 14, 18, 23 85:9 86:5, 17, 23 87:21 88:6, 21, 25 89:6, 9, 16, 21 90:1, 6, 14 91:2, 9, 15, 20 92:4, 9, 13, 23 93:4, 8, 18, 24 94:5, 13, 21 95:1, 9, 12, 15, 21 96:5, 10, 13, 17, 25 97:5, 14, 21 98:4, 17, 21
--	--	--	--	---

99:1, 9, 21 100:1, 8, 11, 15 101:3, 10, 19 102:3, 10, 21, 25 103:5, 11, 21 104:12 paying 97:18 103:22 peculiar 60:7 pending 100:22 people 12:13 25:9 34:12, 24 35:3 66:12 91:21 97:6, 8, 10 perceive 22:21, 22 perceived 23:3 92:1 percent 70:25 performance 14:3, 21 15:11 17:24 43:10 45:15 72:22 75:1 performing 42:12 48:22 performs 75:5 perils 10:18 period 32:7, 11 42:13 48:19 51:12 periodically 29:4 perjury 5:15 permanent 30:12, 13 permanently 30:14 permits 4:9 person 5:11 24:18 28:1 personally 40:25 82:6 84:10 persons 34:22 perspective 43:25 47:25 48:5 54:13 58:5 60:6 61:24 72:4 84:17 92:10 95:7, 9 97:1, 3 102:19 pertinent 9:20 Peter 2:8 5:21, 23 6:1, 7, 13	8:13 10:11, 18, 22 56:7 104:19, 21, 24 105:3 phase 7:3 39:4 41:24 42:19 49:3 80:25 81:15 phonetic 58:25 phrase 43:24 physical 68:14 pick 51:6 picture 68:18 pictures 70:17 piece 80:3 piggyback 74:11 place 5:14 22:1 74:4 76:9 83:23 87:15 106:6 plan 48:2, 12, 15 63:25 74:6, 15 76:8 86:23 planned 76:3 95:4 planning 22:1 67:14 68:24 plans 72:1 86:19 103:24 playing 57:19 point 6:8, 9, 10, 20 28:10 55:1, 6, 14, 22 56:25 57:22 69:18 87:6 98:1 104:3 pointed 97:25 poor 21:10 53:9 position 10:23 46:10 85:11 possessions 88:8 Post 101:17 posted 4:16 post-revenue 101:9 Post-RSA 101:18 potential 72:6 potentially 57:11 prefaced 58:13 preferred 46:3 prescriptive 58:7, 12 59:12 prescriptiveness 58:2 59:4	presence 24:12 81:18 PRESENT 2:11 presented 57:2 pressure 94:9 pretty 37:3 prevent 47:2 previous 61:20 primarily 8:3 9:21 26:4 81:12 86:5 primary 6:19 24:9 45:13 principal 8:8 prior 43:10 64:3, 5, 6, 7 101:13, 14, 16 problem 39:8 41:6, 7, 9 47:21, 25 56:8 88:13 problems 30:18 46:24 procedural 4:14 proceeded 23:2 proceedings 5:10, 13 106:5 procure 87:8 procurement 56:3, 13 58:25 68:19 produced 17:11 producing 87:9 89:10 product 9:13 11:13 18:16 60:1 87:4 product's 60:2 profile 50:12 profiles 18:21 50:15 program 39:19 48:16 54:23 88:17 programs 7:25 project 6:16, 18, 19 7:3, 15 8:9, 20, 25 9:5, 20, 22 10:2, 6 11:10 14:14 22:21 23:1, 19, 23 24:7 26:6 34:11, 23 37:19 54:21 57:24 58:5 59:22 60:16 61:14	65:10, 17, 25 67:9 70:14 71:9, 20 82:1 83:25 84:24 86:1 92:1, 3, 6 94:20 95:6 96:21 97:24 98:2, 7 99:2, 17 101:24 104:6 projects 18:6 23:6 26:3 61:20 62:12 64:3 67:19 90:24 92:7 95:23 98:5, 9 99:4, 11 properly 40:6 83:22 proposal 70:4 85:3 propulsion 16:14, 20 40:5 74:23 prosecution 5:15 Protection 51:24 protocol 38:4 prototype 73:19 76:3 78:11 prototypes 72:12 78:2 proven 70:9 provide 18:10, 16 20:8 provided 15:5 19:18 36:5 45:18 47:1 provides 52:17 providing 14:24 15:15 provision 84:25 Public 4:5, 13, 17 5:5 30:7 pull 24:3 punch 100:20 purpose 3:8 4:3 Pursuant 5:4 push 12:21 97:17 pushed 71:20 put 24:4 26:15 27:6 31:7 34:17 36:3, 17 43:16 51:21	62:5 66:12 87:15 106:7 putting 8:24 9:5 53:1 69:5 < Q > quantity 89:13 question 5:7, 18 10:21, 24 13:12 21:7 22:24 34:14 43:1 53:25 64:23 72:9 79:25 82:3, 25 92:24 95:22 101:22 102:15 103:14 104:2 questions 4:8, 10 105:5 questions/reques ts 3:11, 15, 20 quick 56:5 quite 12:4 34:16 58:6 69:11 < R > R/F 3:20 radio 85:12 RAIL 1:2 18:22 51:14 54:7, 10 rails 50:10 85:22, 23 rate 15:22, 23 16:2, 6, 23 17:6, 13 49:19 rates 18:25 19:2 21:9 50:7 reached 62:15 read 66:7 readiness 43:5 ready 36:1 42:24 84:5 88:19, 21 105:14 real 99:21 really 13:13 14:19 15:25 20:21 21:7, 16 23:21 25:13 26:25 35:6 38:17 39:8 41:3 43:12, 22 46:4, 10 47:3, 5, 21 60:20 63:6 67:4 70:10, 15
---	--	---	---	---

77:17 78:13 79:24 84:14 88:6 95:7, 25 98:14 99:11, 20 101:19 rear 33:22 reason 30:23 77:21 88:5 reasons 47:23 52:8 recall 9:19 11:3, 18 12:12 15:17 24:20, 21 25:1 29:1 30:14, 16 33:18 43:3 45:22 46:22 47:3 48:23 49:1, 9, 14 56:24 57:14 59:20 61:7 63:10 64:4 67:11, 15 68:17 71:25 72:11 73:17, 23 74:5 76:16 77:23 78:5, 15 84:24 94:13 100:12, 15 101:11 103:5 receivable 5:12 recognized 24:21 recollection 11:21 42:21 101:8 103:4 record 8:16, 17 28:6 56:8, 9, 10 105:14, 18 recorded 106:11 redesign 93:6 redesigned 87:17, 22 reduce 18:24 19:1 21:8 50:6, 9 51:9 reduced 17:20 51:8 redundancy 58:15 reexamination 105:4 refer 85:23 refusals 3:7, 19 refused 3:20 regard 46:6	67:17 regular 6:9 relate 30:19 48:25 56:14 related 104:15 relates 28:22 relating 59:1 72:1 95:17 102:16, 19 relationship 95:18 96:8 relationships 95:23 relative 23:6 relatively 20:25 32:15 38:1 81:20 92:5 95:6 release 31:1, 14 releasing 31:9 relevant 54:14 65:9 73:2 reliability 43:9 91:4, 7 reliable 59:16 90:25 91:3, 23 remember 30:21 46:23 73:25 remotely 1:11 remove 85:3 repeat 22:24 32:9 66:25 82:11 rephrase 40:25 Reporter 2:13 9:1 10:3, 9 18:3 23:13 27:18 31:19 32:1 40:23 44:25 47:13, 17 53:22 61:15 64:20 66:24 67:22 75:24 77:3 78:23 79:14, 22 80:20 82:10, 15, 17 86:21 99:6 101:16, 25 102:8, 15 106:4 REPORTER'S 106:1 reporting 29:4 106:21 represented	87:24 requests 104:16 require 9:14 13:19 60:3 required 5:16 13:11 16:25 27:15 43:12 49:19 59:7 66:18 78:6 requirement 12:14, 18 13:14, 17 21:13, 16 22:7 24:5 54:20 59:18 71:1 85:25 87:3 requirements 6:24 9:13, 19, 25 11:4 12:16, 25 13:16 16:3, 7 17:11 22:4, 8, 9, 10, 11, 13 23:21, 24 24:1, 3 35:11 39:17, 18, 20 40:14 58:1, 6, 18 59:10, 13 60:19 65:21 66:18 requires 11:9 13:14 44:16 reservation 52:12 reset 30:3 31:6 33:2 resolution 100:22 resolve 15:21 25:13 28:14 41:9 90:6 resolved 55:3 90:5 100:21 resort 53:14, 18, 24 54:1 resources 28:3 48:13 respect 8:25 10:1, 6 15:24 22:22 59:18 respective 13:15 68:9 response 74:23 75:10 responsibility 21:22 65:7 81:3, 7 83:21	responsible 6:22 35:8 41:15, 19, 21 restricted 88:12 restrictions 94:10 result 61:8 87:19 100:6 resume 8:12 retroactively 55:22 retrospect 26:12 retrospectively 55:19 returning 45:20 reusing 71:15 revenue 29:2 30:6 33:9, 20 36:19 38:25 42:24 43:18 45:12, 16, 20 46:7 47:22 48:20 55:24 76:6 88:11, 16 99:23 101:1 reverse 91:6 review 4:24 6:22 26:18, 19 105:10 reviews 98:11 reward 63:10 Rideau 103:3, 7 risk 11:16 14:11 50:21 52:11 60:16, 20 97:6 risks 9:16 92:1 road 86:16 role 6:15, 17 8:10 9:7 34:22 36:22 43:6 57:19, 20 roles 23:20 34:8 rolling 21:7, 23 22:10 25:20, 24 26:19, 21 27:22 28:23 29:5 34:7, 9, 17 35:5, 14, 18, 20 36:13, 24 37:16, 23 40:3 47:7 52:17 60:18 65:5, 18 66:8 68:6 70:22	72:6 74:25 92:14 93:23 95:19 102:7, 11, 13, 17 root 103:17 roughly 8:8 RSA 43:18 101:13 RTC's 64:18, 21 RTG 57:7 101:2 RTGJV 15:6 run 14:11 16:11, 14, 17 17:22 28:18 40:4, 12 46:14 51:2, 8 54:23 55:13 88:8, 10 90:25 91:7 94:11 96:23 97:14 running 26:16 27:3, 5, 21 28:12 29:21 33:20 42:4, 19 43:7 45:19 46:23 48:19 52:11 55:2, 24 88:11 runs 41:4 < S > safe 38:19, 22 43:2 safety 17:8 58:15 59:9 satisfied 9:13 11:13 39:20 SCADA 37:24 Schedule 9:23 47:20 68:5, 6 78:18 79:2 88:22 93:16, 19 102:13 schedules 68:2 94:3 scheduling 92:2, 10 screen 10:14 seasons 54:18 secondary 85:1, 4, 24 86:1, 4, 10, 12 seconds 31:5, 8, 14 32:19, 24 97:18
--	---	--	---	---

Section 5:4, 16, 18 51:6, 9, 10 65:18 66:8, 10 83:15 95:3
sections 65:10 77:6
seeking 8:24
segment 48:12
segments 48:10
selectable 18:25
sense 20:13 23:9 40:18 42:12 43:18 46:4, 8 62:1 68:3, 4 80:17 98:16
separate 84:8
separation 17:1
September 30:8, 11
series 28:19
servers 83:11
service 29:2 30:6, 7, 17 33:10, 20 36:19 38:25 42:24 43:18 45:12, 16, 20 46:7 48:20 50:16 55:24 70:9 88:11 99:23 101:2, 9 103:15
service-proven 59:18
set 22:9, 10, 11 39:17 46:16 50:13 75:11 106:6
setting 19:4 50:13, 15 53:3
shared 4:19, 25
sheet 101:1
shipped 74:8
short 32:15
Shorthand 106:4, 14
shortly 24:22 33:20
sic 74:3
side 63:21, 23 81:4 90:15, 19 96:16
Siemens 59:1
Signalling 12:17, 20, 22

13:6, 21 16:12, 19 18:10 21:20 22:11 25:20, 24 26:20, 22 27:16 28:24 30:22 32:17 33:25 34:9, 18 35:4, 5, 24 36:3, 12 41:7, 8, 24 47:6 50:6 51:25 52:19 54:13, 15, 17 58:3, 6, 11 59:19 60:11 65:4 68:5, 15 71:4, 6 72:3 78:3 79:13, 15, 17 81:2, 4 85:17, 19 86:9 90:15 91:14, 16, 22 92:14, 17 97:1 102:23
signalling-centric 39:23
Signalling's 21:23
signed 63:3, 14 68:21
significant 11:16 60:8 83:2 98:2
silent 10:14
similar 58:14
similarity 12:7
simple 38:1
simply 71:14 73:2
simulators 8:4
single 15:24 16:1
sinkhole 94:19
sit 22:6
site 79:11 80:18, 24 81:21 82:23 83:25 84:2, 8 94:6
situation 16:13
slide 50:9
sliding 50:21
slip 47:21
slope 77:7
slower 20:19
small 81:21
smooth 89:17
smoothly 26:2

89:15
SNC 57:19
SNC-Lavalin 57:15
Software 29:15, 17 31:13 75:6, 12 78:8, 12 87:23 88:9, 10 90:16, 23 91:11 93:12
sole 47:10
solemn 4:4
solution 90:7
solve 25:11
somebody 58:11
Sorry 7:7 9:2 22:23 27:18 28:6 31:19 32:3, 4, 8 33:1 34:13 47:14 50:13 53:21, 23 55:8 60:23 63:5 66:24, 25 79:19, 24 82:2, 10, 16 100:7 101:17 102:14 104:21
sort 8:25 9:5 43:8 55:19 95:17, 19
space 16:9
speak 9:6 23:2 39:1 43:20, 23 46:19 86:19 97:24 103:18
speaking 25:19 104:22
special 88:9
specific 44:5, 10 69:16 73:5
specifically 24:20 35:3 43:4 54:8, 16 73:25 74:22 76:16 77:24
specification 13:3 57:23 58:23
specifications 66:11
specified 19:9, 12 20:3 59:16
specify 20:16 23:21

speed 11:19, 22, 23 14:2, 20, 23 15:19 17:18, 20, 21, 23 18:21 19:25 21:5, 19 38:10, 18, 19, 20, 22 49:11, 16 50:12, 15 52:1 71:11 74:20 75:6, 11, 21 76:1 78:7 92:18
spend 45:5 92:25
spent 7:22
Spirit 69:10, 11, 24 70:9
splitting 17:15
spoke 37:14
spoken 91:20
squared 50:17, 18
Stage 6:16 9:7, 9 62:15, 18 88:24, 25 89:1, 3, 15 90:5
stakeholders 98:22
stalled 32:11
stalls 32:7
stand 98:5
standard 11:25 12:4 59:24 60:1
start 6:15 14:16, 22 33:6 34:4 39:12, 14 62:20 72:10
started 7:4 24:8 26:16 27:3, 4, 5, 21 28:12 46:23 92:11, 15 93:12 99:22
starts 92:16
statement 58:14
station 53:8 103:3
stations 102:21 103:1
station-stopping 45:14
stenographically 106:11
sticking 36:21
stock 21:7 22:10 25:20, 24

26:19, 21 27:23 28:23 29:5 34:7, 9, 17 35:5, 14, 18, 21 36:13, 24 37:16, 23 40:3 47:7 52:17 60:18 65:5, 18 66:8 68:6 70:23 72:6 74:25 92:14 93:23 95:19 102:7, 11, 13, 17
stock's 21:23
stood 46:8 94:9 98:8
stop 16:25 30:23 52:5, 9 53:15
stopped 29:21
stopping 44:8 97:21
stops 53:8
storage 87:17
straight 77:2, 4
strong 14:9 17:13
stronger 14:10
subcontract 63:14 65:5, 6, 12
subcontractor 23:22
subcontractors 6:21 22:12 24:2 36:5 64:5 68:2 80:8 94:16 95:24
submitted 26:18, 20
subsequently 76:14 86:2
subsumed 101:22
subsystem 96:18
subsystems 13:15 24:4 35:9 36:4 83:9
sudden 16:16
sufficient 26:7 37:7 39:4, 5
suit 75:6
suitable 83:19 84:12

<p>sunny 20:17 super 71:21 supervising 51:25 supervision 32:17 supervisory 81:6 supplied 38:1 supplier 21:8 22:11, 12 26:20, 21 41:8 62:4 74:25 95:19 suppliers 26:19 65:5, 6 70:23 supply 83:12 support 88:15 supports 87:4 suppose 78:3 supposed 23:25 27:1 34:25 53:25 54:1 72:12, 15 89:22 surprise 55:5, 12 swear 5:22 switch 47:1 51:23 switches 46:24 system 6:23 8:8 9:17 12:21 13:14, 22 16:12, 19 18:15 19:11 21:8, 17, 20 22:6 23:20, 25 25:16, 20, 24 26:15, 18 27:17, 23 28:24 29:13, 14, 19 30:4 33:2, 11 34:10, 18 35:1, 2, 7, 10 36:9, 12 37:24, 25 40:12, 13, 14 41:4, 18, 22, 24 42:24 43:2, 8, 9, 13 44:2, 14, 20 48:7 49:10 50:16, 24 51:25 54:13, 15 55:21 56:17 58:3, 6, 8, 11 59:8, 15, 19, 22 60:11 61:6 68:15 71:4 76:6 78:3 79:17 81:13</p>	<p>85:4, 7, 17, 20, 24 86:2, 4, 10, 11, 13 90:25 91:14 95:25 96:1 97:2, 8, 13 98:12 99:13 100:14, 21 102:23 103:15 Systems 7:24 8:5 22:20 23:1 26:6, 25 34:6, 21, 23 37:9, 22 40:5, 9 45:10 57:23 58:14 65:5 66:18 68:9 79:13, 15 86:6, 9 91:16, 18, 22, 24 103:24 system's 55:1 100:2 < T > tailed 55:8 tailor 99:15 takes 92:16 talk 22:20 Tara 2:4 target 13:6 targeted 69:12 task 48:7 TCMS 29:5, 8, 11 team 9:8 11:5 79:11 81:9, 12, 21 84:8 94:7, 10 technical 6:19, 20 24:11, 18 26:5 46:9 63:21, 23 64:1 Technician 2:14 tend 5:8, 9 term 100:25 terms 8:24 9:4 12:25 13:12 14:17 16:5 22:25 28:9 33:1 36:11, 20 37:17 38:23 46:6 49:15 54:11 55:4 58:1 59:23 61:2 64:11 65:3 66:15 71:10 79:9, 20, 21, 22 81:1</p>	<p>82:21 83:11 89:5, 24 90:3 92:1, 4 93:22 95:13 103:16, 17 test 39:23 43:9 54:17 72:16 73:2, 5 74:8, 10, 13, 22 76:17 88:9, 17 94:4, 14, 17 tested 40:8 72:15 testimony 106:9 testing 39:3, 5, 9, 14, 16, 19 40:16 41:5, 11, 16, 19 43:16 44:6, 13, 14 46:19, 22 47:4 54:12, 22, 23 72:1, 18, 20 73:6 74:10, 12, 15, 19, 20 75:3, 8, 10, 21 76:2, 3, 22 77:12, 17, 19, 23 78:2, 6, 11, 16 81:13, 15 88:2, 11 94:24, 25 95:2 tests 18:10 40:10, 12 73:9 88:7, 8, 9 94:11, 16 THALES 1:3 2:7 8:5, 24 9:20 10:1, 4, 5 11:16 15:16 17:11 18:10 21:13 22:21 23:3 33:11 35:15 40:22 41:1, 2, 23 42:8, 15, 17, 22 43:25 44:13 45:18, 23, 25 46:14 47:10 48:4 54:13 57:2 59:5, 22 60:10 61:9 62:9 65:12 68:8 72:7 73:2, 3, 4, 8, 18 76:13 77:11 78:1 79:5, 8, 11 80:2, 13, 17, 24 81:9, 18 82:23 83:5,</p>	<p>16, 19 84:16, 22 88:19 91:14 92:21 93:6 94:2, 4, 20 95:7, 9 96:9 97:12 98:18 100:6 101:9, 14 102:19, 23 Thanks 104:25 thing 50:5 51:20, 22 98:8 103:21 105:6 things 26:16 36:16, 17, 18 48:10, 17 93:6, 20 98:5 101:14 104:8 throughput 13:11 thrust 16:16 52:2 tight 71:16 time 4:8 8:7 19:25 20:3, 9, 16 21:12, 18 22:14 24:20 32:7, 11 36:11 43:11, 15 44:24 45:3, 4, 5, 19, 20 46:3, 13, 14 48:6, 22 51:12, 16 56:4 57:7 60:10 68:22 69:19 73:25 79:25 88:17 92:15, 24, 25 94:4, 10, 14, 17 101:1 106:6, 7, 10 timeliness 46:7 times 15:19 18:13 31:3 81:22 timing 66:15 today 6:3 today's 4:3 told 69:21 73:21 74:3 76:14 topology 71:14 88:2 Toronto 7:22 82:7, 9, 19 tough 95:22</p>	<p>track 14:20 15:3, 8, 18 17:18 21:24 22:9 38:10, 18 47:7 52:11 72:16, 21 74:8, 11, 13 76:17 81:4 84:25 85:21 92:17 97:7, 9, 10 102:20 tracks 87:23 traction 21:1 trail 10:10 31:23 trailing 9:3 train 12:19 13:22 14:4, 9 15:20 16:15, 20, 25 17:6 19:5 20:22 21:18, 21 27:2, 4, 21 28:12 29:6, 9, 12, 25 30:23 31:2, 4, 10, 15 32:7, 11, 16, 18, 19 36:3, 4 40:3, 4 44:7, 12 45:7 49:18, 23 50:23, 24 51:9, 24 52:1, 9 55:13 61:2, 6 69:4 71:6 72:22 73:6 75:1, 2, 5, 6, 10, 19 78:21, 25 83:3, 11 85:16, 20, 22 87:1 90:17, 18, 21 97:9, 17 99:5, 7 trainers 8:3 trains 12:21 13:5, 9 14:7, 11, 21 16:10, 11 17:2, 7, 22 20:19, 22 26:14, 16 29:20 30:18 31:18 36:1 42:12 46:23 48:20, 22 49:16 51:3 53:15 55:25 61:4 76:17 78:4 80:10 81:2 85:1, 10, 13</p>
---	---	---	--	--

86:8, 10 87:2, 7,
9, 15, 16 88:15,
24 89:1, 2, 12,
15, 22 90:5, 8,
25 96:23 97:19
train's 74:23
transcribed
4:11 106:12
transcript 4:12,
16, 19, 24, 25
5:3 106:14
transcripts
105:11
transit 71:15
travel 19:25
20:3, 9 21:4, 12,
17
travelling 20:19
Tremblay 103:8
trial 5:13 33:20
39:10 42:4, 19
48:19 100:19
trip 18:13
20:16 22:14
trips 20:1
true 106:13
truly 97:7
truth 6:3, 4
trying 17:22
31:9 55:20
71:10 80:17
88:14
tunnel 47:11
95:3
Tunney's 103:7
turned 31:4
turns 71:16, 18
two-and-a-half
55:24
two-week 48:19
type 71:17
types 100:13
typical 12:2
18:1, 5 96:16
98:7
typically 17:17
18:9 20:15, 18
41:3 48:10
56:22 62:18
64:12 93:11
95:22 96:17
98:10 99:10
typos 4:24

< U >
U/A 3:16
U/T 3:11
ultimately 17:10
35:8 59:4
60:21, 25 61:4
69:1 93:16
104:8
unable 49:18
unanticipated
101:23
unattended
87:1 97:7
undershooting
45:15
understand 7:2
9:12 24:14
26:13, 25 29:8
31:20 34:14
37:6 38:16
42:8 52:21
53:16 56:14
57:1 65:24
69:4, 19 72:9
76:21 82:25
understanding
27:14 34:16
43:19 46:6, 16
52:16 54:6
57:19 58:18
62:1 65:12
68:21 69:8
84:12 98:12
understood
18:13 44:1
46:12
undertaken 3:11
undertakings
3:6, 10
unique 91:14
University 7:22
103:8
unknown 26:17
unnecessary
53:11
unusual 28:18
36:16, 18 38:24
66:11 102:4
useful 75:15
user 19:21
< V >
Vaguely 49:4
validation 72:1,

18 78:16
value 55:18
variant 69:11,
12 70:2
variation 87:25
89:1, 5
various 7:24
13:15 37:9
47:23 58:13
80:8 93:23
94:11
vehicle 62:4
71:17 85:18
86:14
vehicles 73:19
74:6 76:3 86:6
venture 15:6
57:10 62:6
verify 59:8
versa 26:23
vice 26:23
Video 1:10
videos 31:22
view 43:7
45:24, 25 58:1
70:8, 25 71:9,
12 103:14
views 23:2
vigilant 105:10
Virtual 2:14
virtue 26:5
visibility 79:2
102:12
vision 33:19, 22
vitality 16:19, 20
VOBC 29:3
51:2 79:16 80:3
VOBCs 79:12
< W >
wait 31:8, 13
wall 56:23
wanted 104:3,
19 105:2
wants 35:7
watchful 81:23
ways 59:15
wayside 37:25
81:4
wear 91:11
wears 91:8, 10
weather 18:22
19:1 20:5, 9, 23
47:8

WebEx 31:25
32:1
website 4:17
week 104:13
well-controlled
75:19
west 87:7, 13
wet 18:22
wheel 54:6
wheel-rail 50:20
54:18
wheel-slide 53:6
Willowglen 38:7
winter 21:4
46:19, 22 47:4
54:12
wireless 85:12
WITNESS 3:3
5:5, 8, 11, 22
32:3 106:7, 9
wonder 31:21
wondering
79:11 80:24
word 17:12
words 34:8
55:18
work 9:15
14:12 34:16
35:10, 14 39:25
79:8 80:17, 24
82:9, 19, 22
83:15, 19 93:3
98:19 103:25
worked 23:6
38:2 62:11 98:9
working 7:23,
24 34:25 35:2
56:17 83:6, 8
84:5
works 16:6
38:3 99:13
worse-case
16:14
write 58:23
written 13:3
19:14
wrote 57:22
< Y >
yard 83:10
86:19, 25 104:16
yeah 12:2
17:16 19:15
23:12, 18 27:12
28:17 29:16, 22

36:14, 15 37:21
40:11 45:4
46:15, 21 48:9
50:14 51:17
57:12, 13 59:14
65:16 66:1, 5
68:11 69:20, 22
72:19 77:13
83:4 84:1, 23
87:21 89:6, 9
91:9 92:10, 13,
23 93:8, 24, 25
94:13 96:5
100:11 102:3
103:12 104:12
year 7:5, 9
8:23 54:24
years 7:23 8:2,
10 55:24 98:7
York 74:7

< Z >
zero 76:25
77:6, 8
Zoom 1:10 32:2